

RECEIVED  
MAY 13 2002

BEFORE THE POLLUTION CONTROL **ENVIRONMENTAL**  
STATE OF WASHINGTON **HEARINGS OFFICE**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

AIRPORT COMMUNITIES COALITION, )  
Appellants, )  
CITIZENS AGAINST SEA-TAC )  
EXPANSION, )  
Intervenor/Appellant, )  
vs. )  
DEPARTMENT OF ECOLOGY and )  
the PORT OF SEATTLE, )  
Respondents. )

PCHB No. 01-160

TRANSCRIPT OF PROCEEDINGS

DAY FOUR

March 21, 2002  
Lacey, Washington

ORIGINAL

Betty J. Koharski  
Certified Court Reporter  
WA CCR KOHARBJ619BN  
GENE BARKER & ASSOCIATES, INC.  
203 Fourth Avenue South East Suite 406  
Olympia, Washington 98501  
(360) 943-2693

1 BE IT REMEMBERED that the above-entitled matter  
2 came on for hearing before the Pollution Control Hearings  
3 Board, Day One commencing on the 18th day of March, 2002,  
4 and continuing through Day Ten, the 29th day of March,  
5 2002. The hearing was conducted at the Environmental  
6 Hearings Office, 4224 6th Avenue SE, Rowe Six Building 2,  
7 Lacey, Washington.

8 Sitting as the Washington State Pollution  
9 Control Hearings Board were KALEEN COTTINGHAM, presiding,  
10 ROBERT V. JENSEN, Board Chair, and BILL LYNCH, Member.

11 A P P E A R A N C E S

12  
13 For the Appellant Airport  
14 Communities Coalition:

15 PETER J. EGLICK,  
16 KEVIN L. STOCK,  
17 MICHAEL WITEK,  
18 Attorneys at law  
19 HELSELL FETTERMAN  
20 1500 Puget Sound Plaza  
1325 Fourth Avenue  
Seattle, WA 98111

RACHAEL PASCHAL OSBORN,  
Attorney at Law  
2421 West Mission Avenue  
Spokane, WA 99201

21 For the Intervenor Citizens  
22 Against Sea-Tac Expansion:

23 RICHARD A. POULIN,  
24 Attorney at Law  
SMITH & LONEY  
25 2317 E. John Street  
Seattle, WA 98112

**AR 055547**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

For the Respondent  
Department of Ecology:

JEFF B. KRAY,  
JOAN MARCHIORO,  
THOMAS J. YOUNG,  
Assistant Attorneys General  
OFFICE OF THE ATTORNEY GENERAL  
P.O. Box 40117  
Olympia, WA 98504-0117

For the Respondent  
Port of Seattle:

GILLIS E. REAVIS,  
Attorney at Law  
BROWN, REAVIS & MANNING  
1191 Second Avenue Suite 2200  
Seattle, WA 98101

ROGER PEARCE,  
STEVEN G. JONES,  
Attorneys at Law  
FOSTER, PEPPER & SHEFELMAN  
1111 Third Avenue, Suite 3400  
Seattle, WA 98101

**AR 055548**

I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE REFERENCE

|   |                 |
|---|-----------------|
| <u>PRELIMINARY MATTERS</u>  | 4-0001 - 4-0002 |
| <u>BOARD'S ORDER ON MOTION TO EXCLUDE<br/>TESTIMONY OF DAVE GARLAND</u>                               | 4-0003 - 4-0006 |
| <u>TESTIMONY</u>  |                 |
| <u>PETER WILLING, PhD</u>   |                 |
| By Ms. Osborn   | 4-0007 - 4-0013 |
| By Mr. Poulin   | 4-0014 - 4-0024 |
| By Mr. Pearce   | 4-0024 - 4-0064 |
| By Mr. Young  | 4-0065 - 4-0073 |
| By Ms. Osborn   | 4-0073 - 4-0075 |
| By Mr. Poulin   | 4-0076 - 4-0077 |
| Board Questions   | 4-0078 - 4-0086 |
| By Ms. Osborn   | 4-0087          |
| By Mr. Poulin   | 4-0087 - 4-0088 |
| By Mr. Pearce   | 4-0088 - 4-0089 |
| <u>APPELLANT'S MOTION TO EXCLUDE<br/>TESTIMONY OF CHARLES ELLINGSON<br/>AND JOSEPH BRASCHER</u>       | 4-0090 - 4-0112 |
| <u>BOARD'S RULING ON MOTION TO EXCLUDE<br/>TESTIMONY OF CHARLES ELLINGSON<br/>AND JOSEPH BRASCHER</u> | 4-0112 - 4-0118 |
| <u>TESTIMONY</u>  |                 |
| <u>GREG WINGARD</u>   |                 |
| By Mr. Eglick   | 4-0119 - 4-0131 |
| By Mr. Pearce   | 4-0132 - 4-0139 |
| By Mr. Kray   | 4-0140 - 4-0144 |
| By Mr. Poulin   | 4-0145          |

**AR 055549**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

PAGE REFERENCE

TESTIMONY

ED KAVAZANJIAN, PhD

By Mr. Stock 4-0146 - 4-0162  
By Mr. Reavis 4-0162 - 4-0173  
By Mr. Stock 4-0173 - 4-0174  
Board Questions 4-0174 - 4-0177

JOHN STRAND, PhD

By Mr. Witek 4-0177 - 4-0204

EVENING RECESS 5:10 PM

**AR 055550**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

| <u>NUMBER</u> | <u>DESCRIPTION</u>  | <u>IDENTIFIED</u> | <u>ADMITTED</u> |
|---------------|---|-------------------|-----------------|
| No. 360       | Letter dated 2/11/02<br>to Richard Poulin<br>from Analytical Resources<br>re Case 1 | 4-0121            | 4-0123          |
| No. 361       | Letter dated 2/11/02<br>to Richard Poulin from<br>Analytical Resources<br>re Case 2 | 4-0121            | 4-0123          |

**AR 055551**

1 March 21, 2002

2 Day Four

3  
4 MS. COTTINGHAM: We'll go on the record.

5 We have been joined this morning by Betty Koharski,  
6 as our court reporter.

7 The first thing I would like to take up this morning  
8 is the motion in limine to exclude the testimony of  
9 Dave Garland. I was planning to do it without oral  
10 argument.

11 MR. EGLICK: I wasn't going to offer argument on  
12 that. We have a related matter and I didn't know whether  
13 I should bring that to your attention first, because it  
14 may have some relationship, it's a motion that we're going  
15 to make as a preliminary matter this morning.

16 MS. COTTINGHAM: Why don't you go ahead and  
17 state the motion before I indicate my response on the  
18 earlier motion.

19 MR. EGLICK: We have realized in light of the  
20 order of testimony that's now been offered yesterday that  
21 this is something that is going to come up - we wanted to  
22 bring it to your attention as early as we could - and that  
23 is that there is an additional two items of testimony that  
24 relate to the low-flow plan and exhibits to that testimony  
25 that should be excluded and that fall squarely within the

1 terms of the order that the Board entered with regard to  
2 the deadline for reports and plans being produced, and  
3 that's by February 1, and that we think they very clearly  
4 violated here. They relate to the low-flow plan, so I  
5 thought that was something we should bring to your  
6 attention this morning.

7 MS. COTTINGHAM: Have you put your motion in  
8 writing or were you going to make it orally?

9 MR. EGLICK: I was going to make it orally.

10 MS. COTTINGHAM: Have you had some  
11 discussions with the opposing counsel?

12 MR. EGLICK: No. We just became aware of quite  
13 the depth of what was going on. Mr. Stock went back to  
14 the office by happenstance yesterday evening and found  
15 that some documents had been sent to us there by Ecology  
16 that kind of brought into focus what's been going on. So  
17 I just got them this morning, and I can explain further  
18 when the Board would like, I think it is something that  
19 the Board is going to want to hear about.

20 MS. COTTINGHAM: Is it necessary to make a  
21 ruling before the noon hour on this matter?

22 MR. EGLICK: I don't think so, no.

23 MS. COTTINGHAM: Would it be appropriate or  
24 acceptable for you to have some discussions with opposing  
25 counsel what the nature of the motion is, so that they're



1 not caught by surprise?

2 MR. EGLICK: That would be fine. We were caught  
3 a little by surprise ourselves last night, once we  
4 realized what was going on, but I would be happy to --

5 MS. COTTINGHAM: Would you do that over the  
6 lunch hour and then we'll hear the motion after we come  
7 back from the lunch break.

8 MR. EGLICK: Okay. Then I assume we'll take up  
9 the motion then as a first matter after lunch?

10 MS. COTTINGHAM: Mm-hmm.

11 MR. EGLICK: Thank you.

12 MS. COTTINGHAM: As you know, the ACC entered  
13 a motion in limine to exclude the testimony of Dave  
14 Garland. After reviewing all of the material submitted,  
15 here is my order partially granting the motion in limine.

16 First of all, in the ruling that I made yesterday on  
17 the late-produced reports, I stated that the operative  
18 intent of the prehearing order and as evidenced by the  
19 transcript was to prevent the late presentation of those  
20 formal aspects of the 401 conditions. In the instant  
21 motion, the March 6 report prepared by Dave Garland on the  
22 December 2001 flow plan was not a report prepared or  
23 expected to be prepared pursuant to the 401 certification  
24 or, accordingly, failure to produce this report by the  
25 February 1st deadline was not a violation of the

1 prehearing order.

2 Next, discovery in this case has been governed in  
3 part by the basic discovery rules, including  
4 CR 26(e)(1)(B), the duty to supplement interrogatory  
5 responses regarding subject matter of expert witness  
6 testimony. In this matter, ACC made a series of written  
7 and in-person inquiries to Ecology's counsel to determine  
8 whether  
9 Mr. Garland would testify with regard to the December 2001  
10 low-flow plan. Ecology made no response. Ecology even  
11 failed to respond to ACC's letter of March 4th requesting  
12 to depose Mr. Garland in advance of hearing regarding the  
13 review of the low-flow plan. This refusal of Ecology to  
14 respond in any clear manner is a violation of the  
15 fundamental duty under the civil rules of discovery  
16 requiring a party to supplement and update information it  
17 has provided. Normally, the remedy would be to allow  
18 additional time for ACC to depose Mr. Garland on the  
19 December 2001 low-flow plan. However, in this case, as  
20 it's already developed, ACC's three key expert witnesses,  
21 Mr. Rozeboom, Dr. Leytham and Dr. Lucia, have already  
22 testified. In presenting its case, ACC has stated its  
23 need to obtain analysis from these experts, on  
24 Mr. Garland's review, within the framework of their  
25 professional schedules and obligations. Since ACC carries

1 the burden of proof in this matter, the additional burden  
2 of this violation is especially egregious and prejudicial.  
3 This means more time will not be a sufficient remedy.  
4 Therefore, the remedy for this discovery rule violation  
5 will be the exclusion of any testimony by Mr. Garland on  
6 any analysis, findings or conclusions related to his  
7 review of the December 2001 flow plan. Mr. Garland will  
8 be able to testify on any subject upon which Appellants  
9 had the opportunity to depose him. Any reference to the  
10 excluded subject matter shall constitute the basis for an  
11 objection, which the Board will sustain when asserted.

12 And I have copies of this written order. Again, this  
13 will not be mailed out, so I am hopeful that it gets  
14 distributed to all of the attorneys.

15 Are there any questions?

16 With that, ACC can start the day with its witnesses.

17 MS. OSBORN: Thank you.

18 ACC recalls Dr. Peter Willing.

19 Ms. Cottingham, we have some illustrative exhibits.  
20 May I approach and provide these to the Board?

21 (Documents handed to Board).

22 MS. COTTINGHAM: Mr. Jensen, since you weren't  
23 here yesterday morning, you should know that there were  
24 some exhibits that were for illustrative purposes.

25 The one on top is a replacement, however.

1 MS. OSBORN: That's correct. It's a replacement  
2 page for Exhibit F of Dr. Leytham's testimony.

3 MS. COTTINGHAM: Of his prefiled testimony.

4 MS. OSBORN: The other three documents are  
5 illustrative exhibits.

6 MR. JENSEN: Okay.

7 MR. REAVIS: Ms. Cottingham, before we get  
8 started, would it be possible for you to ask some of the  
9 ACC's attorneys who are not participating in  
10 Mr. Willing's or Mr. Wingard's presentation, to talk with  
11 some of the attorneys who are not participating in  
12 Mr. Willing's or Mr. Wingard's response, so we know a  
13 little further in advance what the nature of the motion is  
14 that they want to bring about excluding documents?

15 MS. COTTINGHAM: Yes. There may be the  
16 availability of the conference room out there, so you'll  
17 need to check to see if it's obligated.

18 MS. OSBORN: As an initial matter, I would like  
19 to point out that it is Dr. Willing and we would  
20 appreciate it if he was referred to by that title.

21 MS. COTTINGHAM: Okay.

22 Have you started the clock yet?

23 MR. POULIN: It has been started.

24 MS. COTTINGHAM: Thank you.

25 You're still under oath from yesterday.

1 CONTINUING EXAMINATION

2 BY MS. OSBORN:

3 Q Good morning.

4 We left off yesterday talking about water quality  
5 violations with respect to the Port's current stormwater  
6 discharges, is that right?

7 A Yes, we did.

8 Q We have provided to the Board and the parties copies of an  
9 illustrative exhibit that is composed of four pages  
10 starting with outfall TR copper de-icing report. Did you  
11 prepare this exhibit?

12 A I did.

13 Q Could you explain to the Board what the two graphs or  
14 charts in this exhibit contain?

15 A Logically, it's easier to start with the second page back,  
16 which is a series of numbers based on Exhibit 1128, page  
17 6-2. What I did was I simply tore out the numbers from  
18 the Port's compilation of the copper concentrations from  
19 the de-icing study. And the table contains the data  
20 that's plotted on the sheet on the front.

21 And you can see from the graph on the front that the  
22 concentrations are above what the criterion for copper  
23 concentrations would be at a hardness value of  
24 50 milligrams per liter and 25 milligrams per liter,  
25 so you can see the effect of a changing hardness value on

1 this criterion, and you can see that there's a relatively  
2 small number of values here and more than half of them are  
3 above the criterion line that you would establish if you  
4 had 50 milligrams per liter of hardness.

5 Q And the third page in your illustrative exhibit?

6 A The third page is also based on data from the Port. The  
7 accompanying table is not included but you can see the  
8 data it came from, if you look at exhibit --

9 Q Are you looking for the stormwater plan?

10 A Yes, I am.

11 Q It's Exhibit 1213. Do you have it there?

12 A No, I'm sorry. What I'm looking for is the annual  
13 stormwater monitoring report, which is Exhibit 6.

14 And page 93 of that exhibit contains a compilation of  
15 data, it's the middle of compilation of data that pertains  
16 to Port outfall SDS 3.

17 Q Would you hold for moment until the parties can find it.  
18 Please repeat the page number.

19 A The page number is 93.

20 MS. COTTINGHAM: Which exhibit?

21 A Exhibit 6. You see at the bottom of that page that the  
22 stations identified are in the sample data column. The  
23 second column in indicates changes SDS 2 to SDS 3, and the  
24 series of data that I have plotted here has the last three  
25 values on page 93, it contains all of the values on

1       page 94, and continues on page 95. So those are the  
2       source data for the graphic that you have in my  
3       illustrative exhibit.

4       Q   And what does the graphic show?

5       A   The graphic shows the dispersion of copper values and the  
6       corresponding acute water quality standards at a range of  
7       different hardnesses, again, this one going up to 100  
8       milligrams per liter, starting at 25. It does show that  
9       many of the values are quite a number of times the  
10      concentration indicated by the criterion, 58 values I  
11      believe is the number, that are scattered over time from  
12      1994 to 2001.

13             The import of these numbers is that SDS 3 has some  
14      quite high values for copper, and the probability of their  
15      being able to meet the water quality standards in the  
16      receiving water is correspondingly low the higher the  
17      number goes. I might point out one thing about this graph  
18      and that is that the copper concentrations are stated in  
19      terms of total recoverable, because that's the criterion  
20      that is established in the Port's discharge permit, the  
21      NPDES permit. I have taken the liberty of adjusting the  
22      criteria on this graph to show the total recoverable as  
23      opposed to dissolved metals concentration, which is the  
24      terms in which the water quality standard is stated in the  
25      Washington Administrative Code.

1 Q Thank you.

2 In your prefiled testimony, you also discussed the  
3 topic of BMPs for water quality treatment. Could you  
4 summarize your testimony on that point for the Board?

5 A Yes. It may be useful to refer to the stormwater  
6 management plan, which is Exhibit 1213, and Table 4-6 in  
7 that plan.

8 Q Yes. That table is contained on the fourth page of your  
9 illustrative, is that correct?

10 A This is the back page of my illustrative exhibits, yes,  
11 this page is taken directly out of the stormwater  
12 management plan.

13 MS. COTTINGHAM: What volume is 1213 in?

14 MR. PEARCE: It is in Volume 16 of the yellow  
15 binders. This may be one of the exhibits because it is so  
16 large that the ALJ asked us to produce just one copy for  
17 the Board. It's a multi-volume.

18 MS. COTTINGHAM: We don't have them up here,  
19 just so you know.

20 MS. OSBORN: The table that we will be utilizing  
21 from this exhibit is actually produced as a part of the  
22 illustrative, so if the Board is satisfied with looking at  
23 that table, it is copied directly from Exhibit 1213.

24 A (Continuing) And you will see that this version is dated  
25 July 2001, down in the lower right-hand corner. It was



1 revised a number of times and I believe this is the latest  
2 one that I have, there may be a subsequent one but I think  
3 it's relatively late in the game.

4 If you look down the left-hand column you see SDS 3  
5 is identified there, and the corresponding existing  
6 treatment best management practices are identified in the  
7 third column. This basin is significant because it is one  
8 of the largest basins, in fact I think it's the largest  
9 basin, almost half of the total that shows up on this  
10 page, 234 acres, so it's a large part of the total. And  
11 it's also significant because the Port has referred to it  
12 as the model for what the new runway will look like and  
13 how it will perform in terms of water quality, similar  
14 quality.

15 The existing treatment best management practices  
16 there are shown as filter strips, and in fact the area of  
17 filter strips is 1,680,000 square feet, which translates  
18 to approximately 38 acres, if I've done my arithmetic  
19 right. This is the predominant best management practice  
20 for one of the biggest outfalls on the airport. There are  
21 a few other minor source control best management practices  
22 that have to do with sweeping and spill control plans, et  
23 cetera, that are shown in the right-hand column, but the  
24 preeminent method that the Port is resorting to to deal  
25 with this stormwater is the filter strip for this basin.

1 You can see the filter strip recurrence on the other  
2 basins in fairly large proportions of the acreage.

3 Q And what do you conclude from this information?

4 A When I hold this information in one hand and the previous  
5 page in the other, it seems pretty evident that there is a  
6 water quality problem, even with the one criterion that  
7 I'm emphasizing here, which is copper. There is a  
8 manifest problem with the quality of the stormwater that's  
9 coming from this basin, and the Port has announced the  
10 intention to continue with this same best management  
11 practice in preference to adopting some of the more  
12 sophisticated and more thorough best management practices  
13 that are recommended by the King County Surface Water  
14 Design Manual, the Department of Ecology manual that has  
15 just been produced, and in fact the fairly elaborate list  
16 of best management practices that was incorporated in the  
17 1998 401 water quality certification. For some reason  
18 that I do not understand, those best management practices  
19 were dropped out of the later 401 water quality  
20 certifications that had a relatively sophisticated  
21 multibarrier approach to dealing with the pollutants in  
22 storm water.

23 Q One last question for you. Do we know where the copper is  
24 coming from?

25 A I do not.

**AR 055563**

1 Q Has there been speculation about that?

2 A Yes, there has.

3 Q Do you recall?

4 A Yes. My recollection --

5 MR. PEARCE: Objection to the witness presenting  
6 speculation.

7 MS. COTTINGHAM: Would you lay a foundation.

8 MS. OSBORN: Certainly.

9 Q Dr. Willing, have you reviewed depositions that ACC  
10 conducted of Ecology witnesses?

11 A Yes, I have.

12 Q And did Ecology witnesses discuss where the copper might  
13 be coming from with respect to the Port's stormwater  
14 discharges?

15 A Yes, they did.

16 Q And what did they say?

17 A I'm not able from my memory to tie it to exactly which  
18 witness or which document I've read it, but I've seen  
19 speculations that it has come from rubber in vehicles and  
20 it's obviously coming from an airfield basin, so there was  
21 some speculation about how that could happen.

22 MS. OSBORN: Thank you. That's all of the  
23 questions I have.

24 MS. COTTINGHAM: Mr. Poulin.

25 MR. POULIN: Thank you.

**AR 055564**

EXAMINATION

BY MR. POULIN:

Q Dr. Willing, you've emphasized the discharge basin that drains through the outfall called SDS 3, is that right?

A Yes.

Q I would like you to look at an exhibit, Exhibit 425, the Port's Storm Water Pollution Prevention Plan.

MS. COTTINGHAM: What number, 425?

MR. POULIN: Number 425. And towards the very back of that exhibit - I'm not sure if he has a copy - behind the appendices there's a foldout figure, it looks like this.

MS. COTTINGHAM: How far back?

MR. POULIN: It's almost the last page of the exhibit, in fact it may be, the pages aren't numbered.

MS. COTTINGHAM: Our versions aren't foldout.

MS. OSBORN: Is that Figure 1?

MR. POULIN: Yes, it is Figure 1. Do you have a smaller copy?

MS. COTTINGHAM: It's the second to the last page.

Q (Continuing) Could you please show us where SDS 3 and the drainage basin for that outfall are?

A There's a lightly shaded area in the middle on the west side of the airport property that is indicated as SDS 3

**AR 055565**

1           on the map. That whole basin is SDS 3, this is the  
2           300-some-odd acres that I was referring to.

3           Q    So which outfall do the --

4           A    I'm sorry, 234 acres that I was referring to.

5           Q    Which stormwater outfall is the primary discharge point  
6           for the runways at SeaTac airport?

7           A    I believe that would be SDS 3.

8           Q    And to your knowledge, will SDS 3 also drain the third  
9           runway, if that's built?

10          A    I believe it would, yes.

11          Q    Now, you've talked about BMPs. Which BMPs are used to  
12          treat the discharge at SDS 3?

13          A    My last table in my illustrative exhibit shows that  
14          SDS 3 is filter strips consisting of 1,680,000 square  
15          feet.

16          Q    Are those filter strips already in place?

17          A    They're shown as existing water quality treatment, yes.

18          Q    So the discharges from SDS 3 have already gone through  
19          filter strips, is that right?

20          A    That's my understanding, yes.

21          Q    So they've already been treated with SBMP?

22          A    They've already had the benefit of whatever treatment they  
23          would receive with SBMP, yes.

24          Q    Have you reviewed the annual stormwater monitoring reports  
25          that the Port produces under its NPDES permit?

**AR 055566**

1 A Yes, I have.

2 Q Have you reviewed Exhibit 6, which is the September 2001  
3 annual stormwater monitoring report?

4 A Yes, I have.

5 Q Does Exhibit 6 have information about the discharges from  
6 SDS 3?

7 A Yes, and some of these numbers are the ones that I was  
8 basing the graph in my illustrative exhibit upon. The  
9 third page of my illustrative exhibit comes from this  
10 exhibit.

11 Q That's this spread chart?

12 A Yes.

13 Q What would you call that, a scatter plot?

14 A Yes, it's a time-series plot of copper concentrations.

15 MR. POULIN: I have a demonstrative or  
16 illustrative exhibit that I've shared with opposing  
17 counsel that I would like to present to the Board.

18 Q And, Dr. Willing, the annual stormwater report includes  
19 appendices, does it not?

20 A Yes, it does.

21 Q And can you find the specific discharge information in  
22 those appendices?

23 A Yes, if you're persistent.

24 Q Would you please look to page 105 of Exhibit 6, and you'll  
25 see page 105 is a table. Can you tell us what information

**AR 055567**

1 is presented on this table in the first rectangle that is  
2 labeled "all outfalls"?

3 A Yes. This is a statistical compilation, it's labeled  
4 NPDES Composite Statistics from 1994 to 2001, and the top  
5 box there shows all outfalls, the number of samples, and a  
6 breakdown according to different statistical categories,  
7 showing everything from the 95th percentile down to  
8 nondetects, which would be a sample that shows no  
9 concentration of the parameter in question.

10 Q Is it your understanding that this table shows all 387  
11 stormwater samples that the Port has taken from 1994  
12 through the indicated date, June 30, 2001?

13 A That's the way I would interpret it, yes.

14 Q And the copper results are reported in the column that's  
15 third from the right?

16 A Yes.

17 Q Now, just to cut to the chase, I have excerpted that  
18 information here in the left column, all outfalls.  
19 Similar information from page 110 of Exhibit 6, pertaining  
20 to what's called the airfield outfalls, which are the four  
21 identified outfalls listed here. And then in the third  
22 column information from yet a third page, 106, that shows  
23 the information only for SDS 3. And just to save us the  
24 trouble of flipping back and forth through those three  
25 pages of the annual stormwater monitoring report, I've

**AR 055568**

1 pulled those together here on this demonstrative exhibit.

2 Can you draw any conclusions about how the airfield  
3 outfalls compare to all of the outfalls, from this  
4 information?

5 A Given a minute or two I probably could, yes. It's hard to  
6 do a statistical analysis on the fly here, which is what I  
7 would be attempting to do here.

8 I'm looking at the median values, you know, this is  
9 the first thing that my eye would be attracted to, and  
10 comparing all of the outfalls versus the airfield only  
11 versus SDS 3, the numbers do appear to increase there.  
12 I'm not sure that I would attach much significance to a  
13 shift between 24 parts per billion, 27 parts per billion,  
14 and 29 parts per billion. It looks like there's an  
15 increase there; if it were more striking I would tend to  
16 attach more significance to it. I did not do the  
17 statistical analyses, I have not had the opportunity to  
18 verify them.

19 Q Well, these numbers that are reported by the Port are  
20 statistical analyses, aren't they?

21 MR. PEACE: Object. No foundation. The witness  
22 said he didn't do them.

23 MS. COTTINGHAM: You're going to have to lay a  
24 foundation, counsel.

25 Q (By Mr. Poulin) Well, could you briefly explain how the

**AR 055569**



1 table indicates -- well, what is a 95th percentile?

2 A Well, 95th percentile, as I would understand it, would be  
3 the value below which 95 percent of the other values would  
4 fall.

5 Q And five percent would be higher?

6 A Yes. So in the case of 95th percentile, I tend to think  
7 in terms of micrograms per liter instead of milligrams per  
8 liter, so you have 83 micrograms versus 82 micrograms  
9 versus 91 micrograms for SDS 3.

10 Q And the 25th percentile, how does that work?

11 A The 25th percentile would be a relatively low value, in  
12 other words, only 25 percent of the values would be below  
13 that number in each case, and you go from 15 micrograms to  
14 18 micrograms to 22 micrograms in the case of SDS 3.

15 Q And are the SDS 3 discharges of copper higher in the 25th  
16 percentile than any of the other categories?

17 A They appear to be, yes.

18 Q Okay. The acute criteria for water quality as calculated  
19 by the Port, that's indicated here as 10.3 micrograms.  
20 How do these discharges compare to that calculated few  
21 criteria?

22 A Well, it looks as though everything -- in most cases,  
23 everything above the 25th percentile would be in excess of  
24 the criterion.

25 Q So that's at least three quarters of the sample?

**AR 055570**

1 A Yes. There's another big assumption built into this, and  
2 that appears that they've calculated at 56 milligrams per  
3 liter hardness. And again you can see the effect of that  
4 by looking at some of my illustrative exhibits which show  
5 what happens to the criterion when you raise it from 25  
6 milligrams per liter of hardness to 50 milligrams per  
7 liter of hardness.

8 Q Now it's true that these are samples of the outfall rather  
9 than the receiving waters, is that right?

10 A Yes.

11 Q Have you reviewed any information about the water quality  
12 in the receiving water?

13 A Yes, I have.

14 Q Have you reviewed the 1997 receiving environment  
15 monitoring report, that is, Exhibit 426?

16 A Yes, I have.

17 Q Are you familiar with its conclusion that copper criteria  
18 are exceeded in both Miller and Des Moines Creek?

19 A Yes.

20 Q Is there significance to that fact, given that these  
21 discharge data show that the outfall includes copper that  
22 exceeds the state criteria?

23 A Yes. I think the Storm Water Receiving Environment  
24 Monitoring Report is an interesting document because it's  
25 one of the few places where I have seen a compilation of

**AR 055571**

1 data based on the receiving waters themselves. The Port  
2 has avoided publishing regular data that indicate what's  
3 going on in the streams, and this is one of the concerns  
4 that I expressed yesterday when I mentioned this report in  
5 my testimony.

6 Q And so far as you know, does the Port have a mixing zone  
7 authorized for stormwater discharges under its permit?

8 A My understanding is that the only mixing zone authorized  
9 under the Port's NPDES permit is for their industrial  
10 wastewater discharge, so they have one mixing zone in  
11 Puget Sound, if I understand it correctly.

12 Q But not in the local creeks?

13 A My understanding is they do not have mixing zones  
14 authorized for their individual stormwater discharges.

15 Q So is the Port entitled to rely on dilution to help deal  
16 with the discharges?

17 MR. PEARCE: Object. No foundation for what  
18 "dilution" means.

19 MS. COTTINGHAM: Sustained.

20 Q (By Mr. Poulin) Without a mixing zone, where is the Port  
21 required to comply, where is the compliance point for a  
22 discharge?

23 MR. YOUNG: Object. Calls for a legal  
24 conclusion.

25 MS. COTTINGHAM: Sustained.

**AR 055572**

1 Q (By Mr. Poulin) Let's shift gears, Dr. Willing.

2 Did you participate in the first site visit that ACC  
3 took?

4 A Can you refresh my memory what the date was?

5 Q I believe it was Monday, January 28th of this year.

6 A Yes, I did.

7 Q And on that site visit, did you participate in taking  
8 water quality samples?

9 A Yes, I did.

10 Q I would like to have you look at two exhibits, Exhibit 360  
11 and 361.

12 Now, while we are getting those exhibits, I'll  
13 acknowledge that there's a pending hearsay objection, and  
14 at present I'm simply offering these for background  
15 context, Exhibit 360 and 361.

16 MS. COTTINGHAM: So you're not waiving your  
17 earlier hearsay?

18 MR. POULIN: It wasn't my objection. Just  
19 trying to save time.

20 Q So are you aware, Dr. Willing, that the samples taken on  
21 the site visit were sent to a lab for analysis?

22 A Yes.

23 Q You're aware that laboratory analysis was reported back?

24 A Yes.

25 Q Okay. Let's look at Exhibit 358.

**AR 055573**

1 A Yes.

2 Q Could you tell us what Exhibit 358 is, please?

3 A Exhibit 358 is a small spreadsheet that I developed to  
4 show the water quality criteria at the hardness values  
5 that were indicated by the lab results, to show what the  
6 metals criteria would have been at those hardness values.

7 Q So you created this table?

8 A I did.

9 Q And you indicate hardness values of water quality samples  
10 in column three, is that right?

11 A Yes. Those are the values for hardness that were derived  
12 from those particular samples, and then the water quality  
13 criteria, water quality standards are in the right-most  
14 column. So just for an example, the first value would be  
15 19 for copper freshwater acute, and the water quality  
16 standard for that hardness would be 3.6 micrograms per  
17 liter.

18 Q Okay. And let's also turn to Exhibit 379, which is a  
19 one-page e-mail. Would you describe what that is, please?

20 A I don't think I have that one.

21 (Document handed to witness).

22 Q What is this exhibit for e-mail?

23 A This is a copy of an e-mail that I wrote to Dr. John  
24 Strand, reporting to him the results of the turbidity  
25 samples that we took in the field that day.

**AR 055574**

1 Q And what do those results indicate to you?

2 A Well, they show what I refer to as the tank farm outfall,  
3 which I believe is SDS 1, had a turbidity of 281  
4 nephelometric turbidity units. And the value for  
5 Des Moines Creek, right next to the outfall or a little  
6 bit above it, was 31 nephelometric turbidity units.

7 Q Is there any significance to that change?

8 A Yes. There's almost a tenfold, a ninefold increase  
9 between the turbidity value for the creek and the  
10 turbidity value for the outfall. We did two samples,  
11 there are two sets of numbers there, the second was 299  
12 NTU for the outfall and 31.2 NTU for the creek.

13 MR. POULIN: I have no further questions.

14 MS. COTTINGHAM: Mr. Young or Mr. Pearce, time  
15 for cross.

16 MR. PEARCE: I think I'll go first. Thank you,  
17 Your Honor.

18

19

EXAMINATION

20 BY MR. PEARCE:

21 Q Good morning, Dr. Willing. My name is Roger Pearce and I  
22 represent the Port of Seattle in this matter.

23 I believe you said you're a principal of the Water  
24 Resources Consulting, is that what your testimony states?

25 A Yes, sir.

**AR 055575**

1 Q How many employees there?

2 A There are no employees.

3 Q Just you?

4 A That's correct. I make use of other people's talents on  
5 the basis of contracts.

6 Q Thank you. Have you ever designed a storm water manual  
7 system for a construction project?

8 A No, I haven't.

9 Q I see you've provided some opinions about water quality  
10 criteria. Those are the numeric criteria for metals,  
11 isn't that correct?

12 A That's correct, yes.

13 Q Let's talk about the criteria and use copper for an  
14 example. What's the difference between the acute standard  
15 and the chronic standard?

16 MR. POULIN: Objection. Would it be possible to  
17 put the water quality standards in front of  
18 Dr. Willing?

19 MR. PEARCE: I just want to know generally from  
20 the witness, I don't want the number, I want to know  
21 generally if he knows what the difference is.

22 MS. COTTINGHAM: Why don't you state the  
23 question differently.

24 MR. PEARCE: Okay.

25 Q In general, what's the difference between acute criteria

**AR 055576**

1 and chronic criteria for a metal such as copper?

2 A You would have to forgive me, but I really would feel more  
3 comfortable if I did have the relevant statute in front of  
4 me.

5 Q It's a copy of WAC 173-201A.

6 MR. POULIN: It's also Exhibit 5.

7 MR. PEARCE: Do you want to refer to Exhibit 5?

8 MS. COTTINGHAM: Although it's noted as  
9 Exhibit 5, as a reminder, the Board will take judicial  
10 notice of all of the relevant WACs and the statutes.

11 MR. PEARCE: I think it's just there for the  
12 parties' convenience.

13 MS. OSBORN: Ms. Cottingham, could we go off the  
14 record for about one minute?

15 MS. COTTINGHAM: We can go off the record and  
16 stop the clock. We've had a little minor disaster, a  
17 little water quality problem, actually a water quantity  
18 problem.

19 (Pause in proceedings).

20 MS. COTTINGHAM: Are we ready to go back on the  
21 record?

22 You may start the clock and go back on the record.

23 Mr. Pearce.

24 MR. PEARCE: Thank you, Your Honor.

25 Q I'll ask the question this way. Is the acute standard for

**AR 055577**



1 copper a one-hour average? Would it be 173-201A-040, the  
2 table there?

3 MR. POULIN: Could counsel identify which table?

4 MR. PEARCE: The table at -040.

5 MS. OSBORN: There's two.

6 MR. PEARCE: I think it's actually -- I just see  
7 the one that says substances, the toxics substances, and  
8 copper for freshwater acute refers you to footnote (o) and  
9 footnote (c).

10 Q Would you look at footnote (c). It says that's a one-hour  
11 average concentration, is that correct?

12 A Yes.

13 Q And how about for the chronic standard for copper, that  
14 refers you down to the footnote (d), and that's a four-day  
15 average concentration, is that correct?

16 A Yes.

17 Q How do you derive a four-day average?

18 A Well, that means just what it says, as I understand it,  
19 you would have to have an undetermined number of samples  
20 taken over a four-day period that would yield individual  
21 values and then you would take an average of them.

22 Q Do you know how many samples you need?

23 A I would come up with some sort of a statistical basis for  
24 a statistically sound number of samples that I think would  
25 provide a convincing illustration of what's going on

**AR 055578**

1           during a four-day period.

2           Q    Do you know what the Department of Ecology requires?

3           A    No, I don't.

4           Q    What's the difference -- without reference, you don't have  
5           to refer to the table.  What's the difference between the  
6           total dissolved amount of metal in freshwater and the  
7           total recoverable amount?

8           A    It might be no difference at all.

9           Q    What's the difference in theory?

10          A    The dissolved fraction of metal is ascertained by running  
11          a water sample through a filter, typically a point 45  
12          micron filter, in other words, you strain out all of the  
13          chunks and what goes through the filter presumably  
14          contains nothing more than very fine colloids and  
15          dissolved forms of the constituents.  And then you analyze  
16          what's left on the filter, the chunks that stay on the  
17          filter -- they're not very big chunks if they're down to  
18          point 45 microns, you analyze what goes on the filter and  
19          what goes through the filter separately, and the total  
20          recoverable doesn't go through this filtration step, it  
21          just analyzes by plasma spectroscopy is the term, it's the  
22          current standard analytical technique for finding out  
23          what's in the sample.  How you treat the sample first is  
24          really a matter of filtration, so if you want to know what  
25          the dissolved fraction is, you have to filter it first; if

**AR 055579**

1           you don't care, you just want to know what the total is,  
2           then you analyze the sample without going through the  
3           filtration step.

4       Q    In a stream that has an amount of dissolved organic carbon  
5           or other lignins in it, is total dissolved typically  
6           smaller than total recoverable?

7                   MS. OSBORN: I would object to the form of the  
8           question.

9                   MS. COTTINGHAM: Would you restate your  
10          question, please.

11                   MR. PEARCE: What was the objection?

12                   MS. OSBORN: To the form of the question. Use  
13          of the term "typically," a little vague.

14                   MR. PEARCE: Well, these types of questions to  
15          things that can counsel doesn't understand, we waste a lot  
16          of time, Your Honor. If the witness understands it, I  
17          think it might be more appropriate to ask the witness if  
18          he understands it.

19                   MS. COTTINGHAM: Why don't you restate the  
20          question.

21       Q    (By Mr. Pearce) In your experience, is the total dissolved  
22           amount in a freshwater sample less than -- what percentage  
23           of the time is the total dissolved sample less than the  
24           total recoverable?

25       A    I would not be able to answer that question on a general

**AR 055580**

1 basis. One of the things that's very variable is the  
2 breakdown between dissolved and total recoverable or  
3 dissolved and particulate bound. You want to look at the  
4 two fractions independently.

5 Q Because that's very variable dependent on the water?

6 A Yes, dependent on a lot of things.

7 Q What are those things other than constituents in the  
8 water?

9 A It would depend on what kind of a watershed it is, it  
10 would depend on what the input of the water source is,  
11 where is the water coming from, is it direct from  
12 rainfall, what has it run through on its way to get to the  
13 sample point, what sort of biological processes have  
14 happened in between, you know, there's quite a list things  
15 that could affect it.

16 Q I understand we're talking about a site specific test,  
17 which is running it through a sieve, is that correct?

18 A Well, a sample would be taken in a given known place  
19 identified to that location.

20 Q Do you need to have that information to determine what  
21 total dissolved is, what the total dissolved concentration  
22 of the metal is?

23 A I'm not sure I follow your question.

24 Q Do you need to perform that analysis before you know what  
25 the total dissolved concentration of the metal is, rather

**AR 055581**

1 the total recoverable?

2 A Which analysis are you talking about?

3 Q We just talked about an analysis where you would run the  
4 water through a very fine sieve, as I understand it?

5 A Yes, that will do for explanatory purposes, yes.

6 Q For my layman's purposes, thank you.

7 Do you have to do that test in order to find out what  
8 the total dissolved fraction is as opposed to total  
9 recoverable?

10 A The way the modern water chemistry business works, you  
11 define the dissolved fractions as the part that goes  
12 through a filter of point 45 microns.

13 Q Okay. Are the Washington numeric water quality standards,  
14 in your understanding, are they for total dissolved metal  
15 concentrations?

16 A I believe they're not, no. They're stated in terms of  
17 dissolved concentrations, which you can see in one of the  
18 longer footnotes here. This is set up a little  
19 differently from the copy that I'm used to using, so it's  
20 hard to find things that quickly, but I believe that  
21 footnote (dd) on page 482 states that these ambient  
22 criteria on the table are for the dissolved fraction, and  
23 then it goes into some explanation about how that's  
24 applied.

25 Q So to be clear -- I thought that is what I asked, I'm

**AR 055582**

1           sorry if I was unclear. The standard is for the dissolved  
2           fraction?

3           A    Yes.

4           Q    Okay. What is hardness as applied to freshwater?

5           A    Hardness is basically the ability to consume, in other  
6           words, that's where the term came from, hard water  
7           requires more soap to do the job than soft water does. In  
8           practical analytical chemistry terms, it's the sum of the  
9           calcium and magnesium in the water, that's the way you  
10          measure it. A limnologist would tend to think in terms of  
11          alkalinity as opposed to hardness, which is a little bit  
12          different metric, but the water quality standards are  
13          stated in terms of hardness, so it's the sum of the  
14          calcium and magnesium concentrations in the water that  
15          adds up to a value known as hardness.

16          Q    And the water quality criteria for metals, let's just say  
17          copper, actually varies as the hardness in the water  
18          varies, does it not?

19          A    Yes, it does.

20          Q    And can the hardness in a stream that's less than two  
21          cubic feet per minute vary during a rainfall event?

22          A    Yes, it can and it does. This is one of the things I  
23          tried to illustrate by my illustrative exhibits here is  
24          that the hardness does vary, it can vary over a fairly  
25          short amount of time and a fairly short amount of

**AR 055583**

1 distance.

2 Q About how much can it vary relatively; can it double,  
3 triple, or conversely can it, you know, be lowered by  
4 three times than what the original hardness was during a  
5 rainfall event?

6 A I hesitate to put bounds on it without having a specific  
7 data series in front of me, but it can certainly vary  
8 by -- you know, it can certainly double and triple.

9 Q Okay. So just to sum up here, for the components of the  
10 acute standard, it includes a one-hour average  
11 concentration, correct?

12 A Yes.

13 Q For copper?

14 A If you're referring to footnote (c) in the back, that  
15 specifies the one-hour average concentration, yes.

16 Q And it's for the total dissolved fraction, correct?

17 A Yes.

18 Q And it's a function of hardness, we need to know the  
19 hardness in order to tell what our standard is?

20 A Yes, we do.

21 Q And it applies in receiving water, correct?

22 A Yes.

23 MS. OSBORN: Objection.

24 MS. COTTINGHAM: On what basis?

25 MS. OSBORN: Legal conclusion. It's the same

**AR 055584**

1 question we asked, where the water quality standard  
2 applies.

3 MR. PEARCE: Let me ask it this way.

4 Q Is it your understanding as a professional in this area  
5 that the water quality criteria applies in the receiving  
6 waters?

7 A Well, not being a lawyer, I'm not that adept at finding  
8 the legal authority that quickly. I believe that that  
9 authority is contained in WAC 040. I'm having a little  
10 trouble putting my fingers on it right away.

11 Q If I could clarify the question, I'm not asking for a  
12 legal opinion, I'm just asking what your understanding is  
13 as to how you apply these standards as a professional in  
14 the field, what your understanding of it is that they  
15 apply in the receiving waters?

16 A The first thing I would do as a professional in the field  
17 is go find out what the authority is, and I don't see it  
18 right here.

19 Q So your testimony is that you don't have an understanding  
20 of where it applies?

21 A I would have to look.

22 Q You would have to look to know where it applied?

23 A Yes.

24 Q But as you sit here, you don't have an understanding of  
25 it?

**AR 055585**



1 A Not being able to find it right now, it would be much  
2 simpler to go look than to spend time debating  
3 ascertainable facts.

4 Q Would you look at the zinc standard in 173-201A-040 in  
5 that table. That refers you to footnote (aa) and footnote  
6 (c), correct?

7 A Yes.

8 Q And footnote (c) is one-hour average concentration for the  
9 acute freshwater criteria?

10 A Yes.

11 Q Thanks. That's all we'll have for that exhibit.

12 Is it your understanding that metals criteria can  
13 also be adjusted on a site-specific basis?

14 A Yes, it is.

15 Q Is this a currently preferred approach by the EPA?

16 MS. OSBORN: Objection.

17 MS. COTTINGHAM: On what basis?

18 MS. OSBORN: There's no foundation here for  
19 Dr. Willing's knowledge about the EPA.

20 MS. COTTINGHAM: Would you lay a foundation.

21 Q (By Mr. Pearce) Are you aware of EPA's approach to  
22 site-specific standards?

23 A I believe that EPA's approach as distilled by the State of  
24 Washington is contained in footnote (dd), halfway down the  
25 paragraph it says: Metals criteria may be adjusted on a

**AR 055586**

1 site-specific basis when data are made available to the  
2 department clearly demonstrating the effective use of the  
3 water effects ratio approach established by EPA as  
4 generally guided by the procedures in USEPA Water Quality  
5 Standards Handbook December '83 as supplemented or  
6 replaced.

7 So that raises the whole subject of a water effects  
8 ratio study, or W-E-R-S, or several contractions that are  
9 used to designate it.

10 Q What I'm asking is if you're familiar with EPA's preferred  
11 approach?

12 MR. POULIN: Objection. There's no foundation  
13 as what EPA prefers or doesn't prefer.

14 MR. PEARCE: I'm asking if he knows, counsel.

15 MS. COTTINGHAM: I'll overrule the objection.

16 A EPA is a very large organization, and I don't know I would  
17 feel comfortable attributing a preference to an  
18 organization of that size and complexity. EPA has very  
19 detailed and extensive guidance on the application of  
20 water effects ratio studies and the procedure that is  
21 applied to develop a site-specific water quality standard.  
22 I'm somewhat familiar with that literature and conversely  
23 with the literature that has attempted to interpret that  
24 procedure for the State of Washington.

25 Q So it's my understanding then, you're not aware of EPA's

**AR 055587**

1 preference?

2 A As I say, I have difficulty ascribing a preference to a  
3 giant government bureaucracy.

4 Q That's fair. Do you know how a WER is developed?

5 A Do I know how a WER is developed.

6 Q Well, let's step back, let me withdraw the question.

7 Would you explain to the Board what a WER means,  
8 W-E-R, just what the letters stand for?

9 A Water effects ratio study.

10 Q That's a type of site-specific study, isn't it?

11 MR. POULIN: Your Honor, I object. This is  
12 outside of the scope of direct examination. There was no  
13 discussion of site-specific studies or WER or footnote  
14 (dd), for that matter.

15 MS. COTTINGHAM: Do you have a response?

16 MR. PEARCE: Yes. I can examine adverse  
17 witnesses on direct under the rules, but he does testify  
18 about WERs in his direct testimony, I believe.

19 MS. OSBORN: Was he on your list to call?

20 MR. PEARCE: No. We're cross-examining him, but  
21 I think we can cross-examine him about his testimony and I  
22 believe he does talk about site-specific standards and  
23 requirements for that in 401, in his direct testimony.

24 MS. COTTINGHAM: Let's stop the clock for a  
25 second.

**AR 055588**

1           Why don't you find where in his direct testimony you  
2 find that.

3           MS. OSBORN: Why are we stopping the clock?

4           MS. COTTINGHAM: I'm sorry, you're right. Start  
5 the clock back up.

6           (Pause in proceedings).

7           MR. PEARCE: We will come back to that.

8           I would note that Mr. Willing does talk about water  
9 quality standards in general, and this is a relaxation of  
10 -- or a type of water quality standard that can be set in  
11 the state of Washington, so I think it's fair to ask him  
12 about it on cross-examination.

13           MR. POULIN: We'll accept the acknowledgment  
14 that the WER is a relaxation of the standard.

15           MR. PEARCE: It's not an acknowledgment.

16           MR. POULIN: But Dr. Willing has not discussed  
17 the process.

18 Q (By Mr. Pearce) I think you did say in your testimony  
19 that there's a history of violations of the water quality  
20 standards by the Port, is that correct?

21 A Yes, that's correct.

22 Q And you rely on this 1997 report, Exhibit 426, is that  
23 right?

24 A That's correct.

25 Q Could you look at page 33.

**AR 055589**

1 A Yes.

2 Q That shows that this reports some data from 1995 to 1996,  
3 is that correct?

4 A Yes, that's correct.

5 Q Does this report hourly samples or instantaneous, hourly  
6 average samples or instantaneous samples, do you know?

7 A Without reviewing the report, I'm not sure I can answer  
8 that. I believe that there were automatic samplers that  
9 were used and I believe there were some grab samples  
10 incorporated in this report, but which sample was done by  
11 which method, I would not be able to answer that without  
12 looking at it carefully.

13 Q Unless it's an hourly sample or hourly average, you can't  
14 tell whether it's a violation of a water quality standard,  
15 can you, for zinc and copper?

16 A My understanding in conversation with Ecology  
17 practitioners is that a grab sample can be considered a  
18 one-hour average sample.

19 Q A single sample taken in one instant can be a one-hour  
20 average?

21 A If you have no other further statistical basis for it, if  
22 you haven't taken a good-faith effort to sample the  
23 average over the hour and you have a grab sample, then you  
24 use it for the one-hour average, yes.

25 Q So it's your testimony that an instantaneous sample can be

**AR 055590**

1 used as a one-hour average, is that correct?

2 A Yes.

3 Q Can you tell where these samples were taken?

4 A Again, without taking a close look at the report and its  
5 appendices, I wouldn't be able to tell you off the top of  
6 my head, no.

7 Q Okay. Would you take a look at page 21?

8 A Yes.

9 MS. OSBORN: Sorry, counsel, page 21?

10 MR. PEARCE: Yes, 21.

11 Q Could you read that paragraph about freeways, paragraph  
12 4.2.1.3 on the record, please?

13 A Yes. This appears to pertain to the Miller Creek basin.

14 Q Does it indicate that two freeways pass through the  
15 watershed?

16 A Yes, it does.

17 Q And does it indicate the storm water for roads and these  
18 kind of traffic volumes typically contain high  
19 concentrations of TSS and metals?

20 A Yes.

21 Q And does it also indicate that portions of SR-519, at  
22 least, discharge above the Port's SDN 1 outfall?

23 A Yes, SR-518, I believe it is, yes.

24 Q Thank you for the correction.

25 Could you look back at page 35?

**AR 055591**

1 A Yes.

2 Q Look at the footnote (b). Does that indicate as to what  
3 outfall stations these samples were taken from on the Port  
4 property?

5 MR. POULIN: Objection. There's no clarity as  
6 to which samples we're talking about here.

7 A Yes.

8 MS. COTTINGHAM: Just a second.

9 MR. POULIN: Dr. Willing never referred to this  
10 table.

11 MR. PEARCE: Dr. Willing referred to this entire  
12 report and he claimed it showed water quality violations  
13 and I'm entitled to cross-examine him about anything in  
14 it, counsel.

15 MR. POULIN: Dr. Willing was talking about  
16 SDS 3, which is in the Des Moines Creek basin, and you are  
17 cross-examining him about outfalls in the Miller Creek  
18 basin which you have not yet specified.

19 MS. COTTINGHAM: I'll overrule the objection.

20 THE WITNESS: So that means you would like to  
21 hear my answer, is that correct?

22 MS. COTTINGHAM: Yes.

23 A (Continuing) Table 19, range of total recoverable  
24 undissolved metals concentrations for Miller Creek, which  
25 is a range, in other words, this composites a lot of data

**AR 055592**

1 and offers ranges for it, it doesn't offer individual  
2 analytical results that can be identified with an  
3 individual outfall location.

4 Q Does footnote (b) indicate the outfall stations?

5 A Yes, it does indicate the outfall locations that are  
6 associated with the numbers in the second column there of  
7 figures.

8 Q That's SDN 1, SDN 2, and SDN 3, is that correct?

9 A Yes.

10 Q We're in the same book. Would you take a look at  
11 Exhibit 425, the same graphic that Mr. Poulin asked you to  
12 look at?

13 MS. COTTINGHAM: Would you repeat the exhibit?

14 MR. PEARCE: It's Exhibit 425 and it's the last  
15 or next to the last page on that exhibit. Mine is a  
16 pull-out map. But it's 8 1/2 by 11 there?

17 MS. COTTINGHAM: Mm-hmm.

18 Q I hope you can read that, Dr. Willing, towards the top,  
19 can you identify where outfalls SDN 1, SDN 2, and SDN 3  
20 are?

21 A Well, the outfalls are indicated by the black dots, yes.

22 Q Right. And can you see where Miller Creek is further over  
23 to the left?

24 A Not very effectively on this copy of the map, no.

25 Q Do you know if these outfalls are in pipe or what the

**AR 055593**



1 outfalls look like?

2 A I've seen that information, but I would not be able to  
3 recall it.

4 Q Do these outfalls route water to Lake Reba before  
5 discharging into Miller Creek?

6 A Again, I've seen that information, but I'm not able to  
7 recall it for specific outfalls.

8 Q Do you know whether the Lake Reba is a constructed storm-  
9 water quality facility or not?

10 A Yes.

11 Q And is it a stormwater quality facility?

12 A My understanding is it's a constructed stormwater  
13 facility, yes.

14 Q Going back to Exhibit 426, can you tell us if the reported  
15 metal concentrations in Exhibit 426 -- whether the  
16 hardness data is done for each sample or whether there's  
17 an average hardness used?

18 MR. POULIN: Objection, Your Honor. There are  
19 literally hundreds of samples discussed in this document.

20 MS. COTTINGHAM: Would you be more specific with  
21 what you're asking him?

22 Q (By Mr. Pearce) Do you know whether a general approach was  
23 taken in Exhibit 426 with respect to calculation of  
24 hardness?

25 A I believe that information would be contained in the

**AR 055594**

1           appendices to this document.  If you have that appendix  
2           with you, I might be able to find the information you're  
3           looking for.

4           Q    That's okay.  I'm just asking if you know as you sit here?

5           A    There was hardness data done as reflected in the appendix,  
6           yes, there are hardness values in there telling you which  
7           data sampling had a hardness value associated with it, but  
8           I would not be able to do it without looking at the data  
9           appendix.

10          Q    Okay.  Look at Table 19 again, page 35.

11                        Do you know whether the calculated concentrations in  
12                        this table used an assumed average hardness value or  
13                        whether each particular sample had its own hardness value?

14          A    Referring to footnote (d) in Table 19, it shows that acute  
15           criteria are calculated at 23 milligrams per liter calcium  
16           carbonate for Miller Creek, 35.6 milligrams per liter  
17           calcium carbonate for Des Moines Creek.

18          Q    So it's --

19                        MR. POULIN:  Sorry, I would like to ask the  
20           witness to read the entire footnote there, please.

21                        MR. PEARCE:  Counsel can do that on redirect.

22                        MS. COTTINGHAM:  I'm going to overrule your  
23           objection.

24          Q    (By Mr. Pearce) Does this indicate to you that an average  
25           hardness was used to calculate these?

**AR 055595**

1 A It looks as though a hardness value was assumed rather  
2 than measured for the purposes of the table, and, again,  
3 this table homogenizes a lot of information that came from  
4 the actual data sampling.

5 Q Did you depend on this table in forming your opinion about  
6 the history of violations of the water quality standards?

7 A I looked at this table, but my reliance was based more on  
8 the individual data analyses.

9 Q Where are those individual data analyses?

10 A Those are in the appendix I was referring to a minute ago.

11 Q Is that appendix attached here?

12 A It appears not to be, no. If you look at the cover page  
13 for this document, Exhibit 426, it says June 1997  
14 Volume 1 report, and there was an accompanying Volume 2  
15 appendix that was about that fat that had the individual  
16 analyses in it, and I don't believe we have that in front  
17 of us here.

18 Am I mistaken?

19 MR. POULIN: If I may, Your Honor. It's my  
20 understanding the Board has been provided one copy of the  
21 appendices much like the other multivolume exhibits. It  
22 was not used as an exhibit at this particular deposition  
23 and so it's not included within Exhibit 426, but it's  
24 within the exhibit list.

25 MS. COTTINGHAM: I think the question related to

**AR 055596**

1           whether he had reviewed the appendices, not whether we  
2           have it in front of us.

3                     MR. POULIN: I'm sorry.

4                     MR. PEARCE: Well, we can investigate that  
5           later, I'm not sure it's actually been put into evidence.

6   Q   Let's take a look at the 2001 stormwater quality report -  
7       I believe counsel referred you to that earlier - that's  
8       Exhibit 6, if I recall.

9                     I believe Mr. Poulin referred you to page 93. You  
10          can refer to that if you like. I just have a general  
11          question about the data reported in this 2001 report.

12                    The samples here that are reported, are they hourly  
13          averages?

14   A   I don't recollect how they were done. They were done for  
15          the purposes of NPDES permit compliance, for the most  
16          part, there are some exceptions to that but for the most  
17          part they were done as monthly or quarterly NPDES  
18          monitoring results.

19   Q   Is hardness reported for any of those results?

20   A   I don't remember.

21                    MR. POULIN: I object to the form of the  
22          question, the term "those results," perhaps counsel could  
23          be a little more specific.

24                    MR. PEARCE: I thought he knew the results he  
25          was talking about.

**AR 055597**

1 Q Is hardness reported for any of the NPDES sample data  
2 required reports?

3 A I can't remember the answer to that, exactly. One of my  
4 large concerns here is that hardness is not a required  
5 criterion under the NPDES permit monitoring provisions, so  
6 you don't have to test for hardness in order to comply  
7 with the NPDES permit. You can get a lot better idea of  
8 what's going on in the stream if you do test for hardness  
9 and you know what the water quality standard is that  
10 corresponds to the value you got for that particular  
11 sample, instead of assuming, as has been done very  
12 generally by the Port, some hardness value that came from  
13 someplace else at some other time, some other place.

14 Q Do you know whether the total dissolved fraction is the  
15 data we're talking about, is total dissolved fraction  
16 reported or total recoverable?

17 A The NPDES permit again is written in terms of total  
18 recoverable metals, and the water quality standards are  
19 written in terms of the dissolved fraction, so you have to  
20 make some sort of translation. You can either sample for  
21 both, run it through the filter that I was talking about  
22 and analyze both fractions independently, subtract it out  
23 and get the difference, or you can make some default  
24 assumptions, which are also specified in the water quality  
25 standards and discussed at some length in the Department

**AR 055598**

1 of Ecology's permit writers handbook.

2 Q Does that mean that the total dissolved fraction is not  
3 recorded here?

4 A I believe that's correct, yes.

5 Q And hardness is not reported here, is that correct?

6 A Without checking carefully what's behind these data, I  
7 would be a little reluctant to give you an answer for  
8 certainty, but I don't think it is.

9 Q Thank you. And these data are recorded at what's been  
10 termed outfalls, is that correct, these are gathered at  
11 the outfalls?

12 A Yes.

13 Q Okay. We saw those outfalls in Exhibit 425, is that  
14 right? Let's take a look at that again, let's go through  
15 it quickly, Exhibit 425, the chart with the black dots on  
16 it.

17 MS. COTTINGHAM: Page number by any chance?

18 MR. PEARCE: It's after the last page.

19 MS. COTTINGHAM: It's the map?

20 MR. PEARCE: It's the map, yes. Thank you.

21 MS. COTTINGHAM: Second to the last page.

22 MR. PEARCE: Second to the last page.

23 Q So you see the black dots on the top side of it, SDN 3,  
24 SDN 4, SDN 1?

25 A Yes.

**AR 055599**

1 Q SDN 2. There's a couple of outfalls to the right, the TY  
2 outfall and EY outfall there that says Gilliam Creek on  
3 the right-hand side of the page, do you see that?

4 A Yes.

5 Q On the bottom of the page, do you see where next to where  
6 it's labeled Des Moines Creek watershed, do you see SDS 7,  
7 SDS 6, and SDS 5 outfalls there all in a row?

8 A Yes.

9 Q And then further down to the southeast there, SDS 2 and  
10 SDS 3 outfalls?

11 A Yes.

12 Q And then the SDS 1 outfall by where it says south pump  
13 station?

14 A Yes.

15 Q And SDE 4 outfall by Bow Lake?

16 A Mm-hmm.

17 Q Can you see where the streams are, the dotted lines for  
18 the streams are on the map that you have?

19 A It's pretty sketchy on the map that I have there, this is  
20 a third generation xerox copy and they don't show very  
21 clearly.

22 Q Do you know how many outfalls go directly to a stream?

23 A Not off the top of my head, no.

24 Q Thank you Dr. Willing.

25 You also talked about the 1999 stormwater report in

**AR 055600**

1 your testimony, at paragraph 22. Do you recall that?

2 A You are referring to my prefiled testimony?

3 Q Yes.

4 A Yes.

5 Q Do you know whether the data reported for metals  
6 concentrations in that stormwater report is the same as or  
7 uses the same method as the 2001 report we just went  
8 through? Well, let's me ask you specific questions.

9 Do you know whether hardness is reported similarly or  
10 hardness is not reported similarly to the 2001 report?

11 A I think it would be best if we looked at the actual  
12 report. Would it be possible to do that?

13 Q Well, I think we can just go to the 2001 report, and the  
14 1999 report is what it is.

15 In the absence of hardness data, you can't tell  
16 whether there's a violation of water quality criteria, can  
17 you?

18 A Well, the Port has had the practice of making some broad  
19 assumptions about what hardness is, and then saying that,  
20 well, if the hardness were thus and such then the  
21 criterion would be thus and such. And I suppose you could  
22 make an argument that that demonstrates compliance, but I  
23 have a problem with it, being of an inquisitive mind, I  
24 prefer to see data that pertains to the question rather  
25 than general assumptions of what the data might be.



1 Q Could you look at page 9 of your prefiled testimony,  
2 paragraph 22?

3 A Yes.

4 Q About halfway down the paragraph, there's a sentence that  
5 says: In the absence of hardness data, it cannot be  
6 demonstrated that specific numeric water quality standards  
7 are or are not being exceeded. Is that still your  
8 testimony?

9 A Yes.

10 Q Look at page 35 of your testimony, if you would, please --  
11 I apologize, it's paragraph 35, page 17. See about  
12 halfway down, there's a sentence that says: It's  
13 impossible for the reader to tell from the recent annual  
14 stormwater monitoring reports whether metal constituents  
15 of specific discharges comply with or violate water  
16 quality standards?

17 A Yes, I see that.

18 Q Is that your testimony?

19 A Yes, it is.

20 Q When you talk about recent annual stormwater monitoring  
21 reports, what are you referring to there?

22 A I'm referring to the last four, which I believe are the  
23 ones that I have reviewed and have had access to, which  
24 would have been 2001, 2000, '99 and '98.

25 Q So that includes the 1999 report that we briefly talked

1 about?

2 A Yes.

3 Q Do you know if any notice of violation has ever been  
4 issued to the Port of Seattle for violations of numeric  
5 criteria for metals?

6 A I have not seen any, no.

7 Q You talk about BMPs briefly in your testimony. Do you  
8 recall that?

9 A Yes.

10 Q Are sand filters an effective BMP for removing metals?

11 A That's a very general question, and the best I can do is  
12 give a very general answer. Well, let me be specific.

13 I have seen a sand filter that appears to be pretty  
14 effective at removing dissolved metals, particularly  
15 copper and zinc, on the basis of analytical results that  
16 have been taken from the influent and from the effluent  
17 from that facility.

18 Q How about constructed stormwater wetlands, are they also  
19 an effective BMP for removing metals from storm water?

20 A I have seen descriptions in the literature to the effect  
21 that they can be designed in such a way to effectively  
22 remove metals, and I use the term "remove" advisedly here,  
23 because what they're doing is really not removing but  
24 storing it for a period of time. In other words, if you  
25 look at the concentrations of metals that are reported in

**AR 055603**

1 the receiving water environment report, you see that  
2 SDS 3, for instance, generates a tenth to three-tenths of  
3 a pound of zinc for a typical storm. Where does that go?  
4 That goes into some receiving basin, in this case, the  
5 hypothetical would be a water treatment wetland, and it  
6 stays there for a while. It may not stay there  
7 indefinitely, it's got to go somewhere; zinc is a fairly  
8 conservative parameter, it doesn't just go away, it will  
9 wind up someplace. Copper is the same way. So it's going  
10 to be stored in a water treatment wetland, for instance,  
11 until something happens, some biological effect or some  
12 chemical effect happens that may mobilize it and send it  
13 on downstream to the water that was intended to be  
14 protected by the stormwater facility.

15 Q Well, a constructed stormwater will accept high levels of  
16 dissolved organic carbon, won't they?

17 A They may or may not, it would depend upon the details of  
18 the construction.

19 Q Are leaf compost filters also an effective BMP for  
20 removing those?

21 A I have reviewed some of the literature, and again I call  
22 it literature advisedly because I've seen very little in  
23 the peer-reviewed scientific literature to the effect that  
24 leaf component filters are effective, I think there's a  
25 real question about how you measure and document

1 effectiveness of a stormwater treatment facility, and in  
2 fact the Department of Ecology is working on a protocol at  
3 this time for answering that exact question.

4 Q Can I refer you -- I'm sorry, were you done answering my  
5 question? I'm sorry to interrupt you.

6 A I wanted to come back to the point that if I could use the  
7 phrase the "jury is still out" on how well these leaf-  
8 compost filters work. They haven't been proven up with  
9 the input concentrations that are typical of storm water  
10 for instance at SeaTac airport.

11 Q Would you look at page 12 of your testimony. And from the  
12 middle of the page there, best management practices, you  
13 state there: Best management practices that are known to  
14 be effective in removing metals are shown in the resource  
15 stream protection menu of the manual, pages 6 through 10.  
16 They include sand filters, stormwater wetlands, two  
17 facility treatment drains, and leaf compost filters. Is  
18 that still your testimony?

19 A Yes. The manual I'm referring to is the King County  
20 manual in this case.

21 Q Thank you. You were at the site visit at the airport, I  
22 believe you said, on the 28th of February, is that right?

23 A I believe that was the date, yes.

24 Q Did you take water quality samples?

25 A I collected some of the water quality samples, yes.

**AR 055605**

1 Q Who determined what samples to take?

2 A There was a discussion in which I took part that resulted  
3 in a determination of which samples to take.

4 Q Who determined which samples?

5 A There was a consensus decision.

6 Q Who determined where to take the samples?

7 A That was also a consensus decision.

8 Q And was it also a consensus decision about what analysis  
9 to have done?

10 A I think there was pretty general interest in turbidity and  
11 copper.

12 Q Are you familiar with EPA method 1669, test procedure for  
13 trace metals determinants?

14 A Yes, I am.

15 Q Was this procedure used to collect those samples?

16 A No, it was not.

17 Q What sampling procedure was used?

18 A We used a sampling procedure -- okay, the numbers don't  
19 mean anything. EPA method 1669 is a quite elaborate  
20 methodology for collecting and analyzing a sample to make  
21 sure that there's no contamination of the sample and that  
22 you're really measuring what's in the sample rather than  
23 measuring some inadvertent contaminant, and it's a very  
24 elaborate and fairly expensive method, it requires two  
25 people and it requires a clean hands versus dirty hands

**AR 055606**

1 approach: One person is a clean hands person, they don't  
2 touch anything, they have gloves on that are lubricated  
3 with something else besides talcum, because talcum powder  
4 can have metals in it. The bottles are contained in a  
5 plastic bag and that plastic bag is contained in another  
6 plastic bag, and there's quite elaborate efforts to make  
7 sure that nothing contaminates the actual sample which is  
8 inside the bottle. And then there's a whole suite of  
9 other precautions one has to resort to, to make sure the  
10 sample is not contaminated by anything other than the  
11 target water you're trying to analyze.

12 Obviously, with 24-hours notice about the  
13 availability of the site visit on Port property, it was  
14 not possible to organize anything approaching what I would  
15 consider a sampling routine that would be sound from the  
16 point of view of data collection and sound from the point  
17 of view of quality assurance and quality control methods.  
18 We had to content ourselves with one or two grab samples,  
19 which obviously don't have the value that samples taken  
20 under a systematic sampling routine would have, you know,  
21 the kind of systematic sampling routine that the Port  
22 presumably would use for its routine NPDES sampling and  
23 sampling for other purposes.

24 Q Thank you. Did you use acid-washed bottles, for example?

25 A Typically in taking water quality samples you tell the

**AR 055607**

1 laboratory that's going to do the analyses which analyses  
2 you would like to do, and they a provide the appropriate  
3 bottles that are sealed and labeled and have a chain of  
4 custody form, and if the sample requires an acid-washed  
5 bottle then they know that and they provide you with an  
6 acid-washed bottle. So that's what we did with the  
7 certified laboratory.

8 MS. COTTINGHAM: Mr. Pearce, can I ask how  
9 many questions do you have more, approximately?

10 MR. PEARCE: Another five or ten minutes. Shall  
11 I go ahead and finish?

12 MS. COTTINGHAM: Yes.

13 Q (By Mr. Pearce) Okay. Let's move on.

14 Could you look back at the outfall TR copper de-icing  
15 report, which is this illustrative that was presented  
16 today. Just so I'm clear, the first page of this  
17 represents total recoverable amounts, correct, not total  
18 dissolved?

19 A Total dissolved I don't think would be a term of art.

20 Q But it says "outfall TR" on the top, so my understanding  
21 is that means total recoverable, is that correct?

22 A That's correct.

23 Q If you look at the second page, the list of outfalls in  
24 the second column, that's where these data were collected,  
25 is that correct?

**AR 055608**

1 A That's my recollection, yes.

2 Q So these were all at the outfalls that we saw on the map  
3 on Exhibit 425?

4 A Yes.

5 Q They weren't in any of the streams, to your understanding?

6 A The de-icing study indicates these were outfall values  
7 rather than receiving water values.

8 Q And, again, you have on the last four columns, TR, CU  
9 meaning copper, is that correct?

10 A Yes, Cu is an abbreviation for cupric, which is the Latin  
11 name for copper.

12 Q So these were all total recoverable values, correct?

13 A That's correct.

14 Q And assumed hardness value?

15 A Well, I assumed the hardness values that are shown in the  
16 last three columns there, and you can see the effect of my  
17 assumptions in the graphical portrayal of these data which  
18 is the first sheet I've offered here. I realize it does  
19 not include the hardness of 100 line.

20 Q And are these hourly-averaged data or are they  
21 instantaneous readings, or do you know?

22 A I believe these -- I wouldn't be able to answer your  
23 question without looking back at the underlying study,  
24 which I believe is Exhibit 1128, which I don't have here  
25 in front of me.

**AR 055609**



1 Q That's okay. We'll skip that in the interest of time.

2 You submitted some testimony about the low-flow  
3 analysis, did you not?

4 A Could you be more precise and tell me where in my  
5 testimony you're referring?

6 Q I think it's 10 through -- something like 8 through  
7 something like 20.

8 A Yes, I did.

9 Q Have you reviewed the December 2001 low-flow analysis?

10 A Yes, I have.

11 Q Do you know what the HSPF model is?

12 A Yes, I do.

13 Q Have you ever performed a calibration of an HSPF model?

14 A I have never performed a calibration of the HSPF model,  
15 myself; I have sat at the elbow of a number of people who  
16 have performed HSPF calibrations, in fact I sat on a  
17 graduate special committee of a gentleman who received a  
18 masters degree at the Huxley College of Environmental  
19 Studies in Bellingham. He did his masters thesis on an  
20 implementation of the HSPF model in the Lake Whatcom  
21 watershed. I've also worked at some length with  
22 Dr. Norman Crawford, who is the original author of the  
23 HSPF model and wrote his dissertation at Stanford  
24 University on basically the HSPF model which was then  
25 called the Stanford Watershed Model, and he is the one who

**AR 055610**

1            authored that.

2            Q    Do you consider Dr. Crawford an expert in HSPF models?

3            A    I'm very cautious about of my use of the term "expert,"  
4            but I would say if it applies to anybody it applies to  
5            Dr. Norman Crawford.

6            Q    In paragraph 19 on page 8, you state that low flows that  
7            are biologically stressful might be missed. Is that  
8            correct?

9                    MS. OSBORN: I'm sorry, could you indicate  
10            where?

11                    MR. PEARCE: The last sentence of that  
12            paragraph, paragraph 19. Did I misspeak? On page 8.

13                    MS. OSBORN: Got it. Thank you.

14            Q    (By Mr. Pearce) Is that correct, Dr. Willing?

15            A    Yes. I see paragraph 19 and I see the last line of it,  
16            yes.

17            Q    Are you a fish biologist?

18            A    No, I do not call myself a fish biologist. Again, I  
19            attended a university where there were 25 or 30 graduate  
20            students in fish biology who were my constant companions  
21            for a period of four years, and let's say there was a  
22            process of intellectual osmosis that was going on there.

23            Q    Are you yourself a professionally trained biologist of any  
24            kind?

25            A    Yes, I have professional training in biology.

**AR 055611**

1 Q Do you have a degree, a graduate degree in biology?

2 A I have a masters degree and a doctorate degree both from  
3 the Department of Natural Resources at Cornell University,  
4 and a great part of my masters training there was under  
5 the tutelage of Dr. Gene Lykens, who is one of the  
6 preeminent lake biology authorities in the United States.

7 Q Have you made any quantitative assessment of the aquatic  
8 biota in affected streams around the airport?

9 A No, I have not.

10 Q Have you done any sort of quantitative study that would  
11 tend to show any particular level of flow in Miller,  
12 Walker, or Des Moines Creek that would be biologically  
13 stressful?

14 A No. That's an interesting point that you raise, because  
15 that's one of the concerns that I have and I haven't seen  
16 such a study either. I tend to look for what's called an  
17 instream flow incremental methodology. When somebody  
18 starts to talk about whether a particular stream in a  
19 particular place is good for a particular organism, that  
20 is the tool. IFIM is the model that was developed by the  
21 U.S. Fish and Wildlife Service. And I've actually  
22 attended U.S. Fish and Wildlife training at Fort Collins,  
23 Colorado, where they teach you how to apply that model,  
24 and I've had extensive experience with that model in my  
25 work at Seattle City Light, where I was responsible for

**AR 055612**

1 the environmental effects of a lot of hydroelectric  
2 projects on salmon bearing streams. So I do have some  
3 experience with that IFIM model applied to salmonids and  
4 also applied to other species as well. One of the  
5 concerns that I have is I haven't seen an IFIM for any of  
6 the streams in the SeaTac area.

7 Q Would you look at paragraph 53 at page 28 of your  
8 testimony?

9 A Yes.

10 Q You talk about a WER there, don't you?

11 A Yes.

12 Q Once developed, would the WER metals criteria become the  
13 applicable criteria for that particular stream?

14 A I'm sorry, I didn't quite catch your question.

15 Q If a WER is developed for a particular stream or site,  
16 then once it's developed it becomes the applicable water  
17 quality criteria for that particular stream or site, does  
18 it not?

19 MR. POULIN: I object, Your Honor. We're back  
20 to the WER study and it's also a question of law.

21 MR. PEARCE: I just pointed out where he  
22 testified about it, counsel.

23 MS. COTTINGHAM: That's why I asked earlier  
24 where his direct testimony referred to WERs.

25 MR. PEARCE: I'm not asking for a legal opinion,

**AR 055613**

1 I'm asking for his understanding.

2 MS. COTTINGHAM: So I'll overrule the objection.

3 Q (By Mr. Pearce) Is that your understanding?

4 MS. COTTINGHAM: Can you repeat the question?

5 MR. PEARCE: Yes.

6 Q Once developed for a site or stream, is it your  
7 understanding that if a WER metal criteria is developed  
8 that then becomes the applicable water quality criteria  
9 for that particular site or stream?

10 A Well, my answer would be not so fast. There's quite an  
11 elaborate process attendant upon the development of the  
12 study for how you conduct --

13 MR. PEARCE: Your Honor, Dr. Willing keeps  
14 giving long speeches, and in the interest of time, it's a  
15 fairly simple question, I just want to know whether it  
16 becomes the applicable criteria or not.

17 MR. POULIN: I would have to object to any  
18 suggestion that the WERS process is simple in any respect,  
19 and if this expert thinks that it requires --

20 MR. PEARCE: I didn't ask whether it's simple, I  
21 just asked him whether --

22 MS. COTTINGHAM: Hang on. You asked a simple  
23 question. Provide a simple answer and on redirect  
24 examination he will be able to elicit further information.

25 THE WITNESS: Okay.

**AR 055614**

1 A (Continuing) My understanding of the WERS process is you  
2 come up with a study design and then you do the study and  
3 you go through a public process to decide what to do with  
4 the results of the study. And then quite sometime later,  
5 after quite a lot of effort, you decide whether a water  
6 quality standard for a particular parameter for a  
7 particular location should be amended.

8 MR. PEARCE: Thank you, Dr. Willing. That's all  
9 I have.

10 MS. COTTINGHAM: With that, why don't we take a  
11 12-minute break and come back at 11:30 and we'll move to  
12 Mr. Young.

13 (Recess).

14 MS. COTTINGHAM: Back on the record.

15 For all of the rest of you, I have asked one of our  
16 AAJs to meet with the folks on the potential motion that  
17 will be happening after lunch, just so we can get an  
18 advanced look.

19 So with that, Mr. Willing, you're still under oath.  
20 And I assume that, Mr. Young, you want to do some  
21 cross-examination.

22 MR. YOUNG: Yes, I will ask a few questions.  
23  
24  
25

**AR 055615**

EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. YOUNG:

Q Dr. Willing, I wanted to ask you about your testimony that you filed, the prefiled testimony. Do you have that in front of you?

A Yes, I do.

Q Do you have also the exhibits that are attached to it?

A No, I don't believe I have them all, no, I don't.

Q You do not have the exhibits?

A That's correct.

MR YOUNG: Can we get you a copy? Do you have one, Ms. Osborn?

MS. OSBORN: I do, although this is my copy of it.

(Pause in proceedings).

Q (By Mr. Young) Do you have now a copy in front of you with your exhibits?

A Yes.

Q I want to look especially at Exhibit E.

A Yes.

Q This is an article, is it not, it looks like an article from some sort of journal or something, is that correct?

A Yes, it is.

Q This is something that you make reference to in your testimony, is it not?

**AR 055616**

1 A Yes, I believe I did reference it.

2 Q Can you read the first sentence, please, of the abstract  
3 on the first page? Aloud, please.

4 A Yes. The control and treatment of highway pavement storm  
5 water at the edge of the highway shoulder pose unique  
6 challenges due to the unsteady nature of processes,  
7 including rainfall runoff, mobilization and partitioning  
8 of heavy metals, variations in stormwater chemistry,  
9 residence time on the pavement and delivery of particulate  
10 mass.

11 Q Do you agree with that statement?

12 A Yes, I do.

13 Q I assumed that you did since you've attached it to your  
14 testimony, but I just wanted to ask.

15 MR. POULIN: Objection. Counsel is testifying.

16 Q (By Mr. Young) I also want to look a little further down  
17 on that page, and in the second full paragraph again of  
18 the abstract, there's a sentence that begins with the word  
19 "while no" -- do you see that?

20 A Yes.

21 Q Can you read that sentence out loud, please?

22 A While no simple solutions exist for the removal of a heavy  
23 metal or particle once released into the highway  
24 environment, knowledge of the dynamic processes in highway  
25 runoff can provide insights for the proper selection of

**AR 055617**



1 BMPs depending on conditions at the highway site.

2 Q Do you agree or disagree with that statement?

3 A That seems a valid statement to me.

4 Q Now this is talking about highways, but would you think  
5 that the same statement would apply to airport runways?

6 A There are many parts of this article they're talking about  
7 the dynamics of storm water and what goes on in storm  
8 water that I think are analogous to what would happen on  
9 an airport runway.

10 Q How about that particular sentence that you've just read,  
11 do you think that applies to an airport runway, as well as  
12 a highway?

13 A Well, it's written specifically to highways, but I think  
14 one can make mental parallels to apply it to an airport  
15 environment, yes.

16 Q So then you would agree that no simple solutions exist for  
17 the removal of a heavy metal or particle, once released in  
18 the airport environment?

19 A Well, let's say that the complexity I believe would go  
20 considerably beyond the deployment of a filter strip.

21 Q Okay. And that knowledge of the dynamic processes in an  
22 airport runoff can provide insights for the proper  
23 selection of BMPs depending on conditions at the site.

24 I take it you would agree with that?

25 A Yes.

**AR 055618**

1 Q Isn't the Department of Ecology through the water effects  
2 ratio seeking to gain knowledge of the dynamic processes  
3 of the airport runoff to provide insights for the proper  
4 selection of BMPs?

5 A I have read testimony and heard from the Department of  
6 Ecology that they don't know what's going on at SeaTac  
7 airport as it is, so it mystifies me why we would be  
8 worried about changing the water quality standard. If we  
9 don't know whether we're in compliance or not with the  
10 standard as it exists now, then let's apply this  
11 analytical process that you're suggesting, knowledge of  
12 the dynamic processes, let's apply that to the existing  
13 situation.

14 Q I'm just asking, isn't the Department of Ecology and the  
15 Port, through the water effects ratio study, seeking to  
16 gain knowledge of the dynamic processes of the airport  
17 runoff to provide insights for the proper selection of  
18 BMPs?

19 MR. POULIN: Objection, asked and answered.

20 MR. YOUNG: I don't think he really answered.

21 MS. COTTINGHAM: Can you read back the  
22 question so I can hear that?

23 MR. POULIN: Your Honor, I would further object  
24 that --

25 MS. COTTINGHAM: Let me hear it first.

**AR 055619**

1 (Reporter read from the record).

2 MR. POULIN: The question asked the witness to  
3 speculate as to the intent of the Department and the Port.

4 MR. YOUNG: I'll ask a different question.

5 Q Let's go to the next the page, page two of the same  
6 article. In this section it is labeled "introduction,"  
7 and the second sentence of that section starts with the  
8 word "compared to," do you see that?

9 A Yes.

10 Q And can you read that sentence out loud, please.

11 A Compared to drinking water and domestic wastewater,  
12 stormwater treatment continues to pose uniquely difficult  
13 challenges due to the unsteady and stochastic nature of  
14 the processes including traffic, rainfall runoff, heavy  
15 metal partitioning and transport of entrained solids.

16 Q Do you agree or disagree with that statement?

17 A Well, I think the statement is part of a pretty long  
18 article, and it's in the introduction so it's summary in  
19 nature and it relates to a whole lot of specific  
20 observations that come along later on. It's hard to pick  
21 the sentence out of its context and have it mean as much  
22 as it does in context of the whole article.

23 Q Well, I guess what I'm asking is, do you agree with the  
24 statement here that compared to drinking water and  
25 domestic wastewater, stormwater treatment continues to

**AR 055620**

1 pose uniquely difficult challenges due to the unsteady and  
2 stochastic nature of processes, including et cetera, et  
3 cetera?

4 MR. POULIN: Objection. Asked and answered.

5 MS. COTTINGHAM: I'm not sure it has been  
6 answered, so I'll overrule.

7 A Well, any wastewater flow, whether it's a domestic  
8 wastewater or industrial wastewater or storm water is  
9 going to be characterized by unsteady and stochastic flow,  
10 that's the nature of the beast. I have had very recent  
11 discussions with the people who operate the wastewater  
12 treatment plant, the municipal wastewater treatment plant  
13 for the City of Bellingham, and they have lots of war  
14 stories about dealing with sudden slugs of this or that or  
15 the other thing that come down the pipe, and what they do  
16 is when the hydraulic capacity of their system is  
17 exceeded, and they could relate to this sentence very  
18 readily, they would say: Yes, storm water is not unique  
19 in that respect when you have those same problems. So  
20 picked out in isolation, this sentence I think maybe could  
21 be broadened a little bit.

22 MS. COTTINGHAM: For the Board's understanding,  
23 could you define the word stochastic?

24 THE WITNESS: Yes. Behaving according to a  
25 probability distribution.

**AR 055621**

1 MR. JENSEN: Would you define what you just  
2 said?

3 (Laughter).

4 THE WITNESS: Randomly distributed, would that  
5 help?

6 MR. JENSEN: Thank you.

7 THE WITNESS: In other words, you can't tell  
8 what's coming down the pipe next or how big it's going to  
9 be or how long it's going to last, there's no basis for  
10 even -- there's bounded variability, you know that you're  
11 not doing to get a hundred million gallons per day in the  
12 Bellingham sewer treatment system, but you know you might  
13 get anywhere between five and 50, so the process is  
14 dealing with bounded variability. We know that we won't  
15 get -- we know that half an inch of rainfall at SeaTac  
16 airport in a 24-hour period is possible, three inches in a  
17 24-hour period is probably not possible.

18 MS. COTTINGHAM: You may continue.

19 Q (By Mr. Young) You have some experience, as I understand  
20 it, in drinking water, is that correct?

21 A That is correct.

22 Q I want you to look at the Figure 5 in this article.  
23 Figure 5 is at the back, if you go past the text, there's  
24 some graphs. Go to Figure 5.

25 Are you there?

**AR 055622**

1 A Yes.

2 Q And this shows the temporal variations of the dissolved  
3 fraction with respect to lead, copper, something and zinc,  
4 isn't that right?

5 A The Cd I believe is the one you're having trouble with and  
6 that would be cadmium.

7 Q All right. It appears from these graphs that the  
8 variations of dissolved fractions of these metals is quite  
9 extreme. Would you agree?

10 A The fd, which is the Y axis of these graphs, is a  
11 nondimensional -- it's a dimensionless parameter, and  
12 without taking what would probably turn out to be an  
13 inordinate amount of time for me to go back and refresh my  
14 memory, it might be difficult to explain to the Board  
15 exactly what fd is, so it's hard to say whether a change  
16 between point five and 1.0 fd would be significant. So  
17 I'm not sure exactly what you're trying to get at here.

18 Q Now the water quality standard applies to the dissolved  
19 fraction of the metal, is that correct?

20 A That's correct, as I understand it.

21 Q And it would seem from these graphs that that dissolved  
22 fraction varies with time, is that fair to say?

23 A Yes, it does vary with time.

24 Q In fact, it varies within a relatively short period of  
25 time, doesn't it, because the elapsed time is 20 minutes,

**AR 055623**

1 30 minutes, even within an hour it varies, does it not?  
2 A This is what the data from this piece of research showed,  
3 yes.

4 Q So if we took a sample at one point, say minute number  
5 ten, we wouldn't know whether that represented dissolved  
6 fraction over the course of an hour, would we?

7 A That would not necessarily be a valid basis for  
8 extrapolating what the value would be at other times  
9 during the hour, no.

10 MR. YOUNG: Thank you. That's all of the  
11 questions I have.

12 MS. COTTINGHAM: Any redirect?

13 MS. OSBORN: Yes. I have a couple of questions.  
14

15 EXAMINATION

16 MS. OSBORN:

17 Q Dr. Willing, what is the basis for your statement that  
18 water quality standards are violated by the Port's storm  
19 water?

20 A The basis starts out with the receiving water environment  
21 report.

22 Q Is that Exhibit 426?

23 A I believe it is.

24 Q Do you have that there?

25 A Yes.

**AR 055624**

1 Q And could you please go ahead and find it.

2 Is hardness data reported in this report?

3 A Yes. Hardness data was reported and associated with a  
4 large number of the analyses that are reported in the  
5 report part of this document. The actual data are  
6 contained, as we said before, in the technical data  
7 appendix.

8 Q And so is this the basis for your determination that water  
9 quality standards are being violated?

10 A Yes. If a sample is taken in a stream upstream of a  
11 discharge, another sample is taken downstream of a  
12 discharge, and a third sample is taken in the discharge  
13 itself, and all three of them are in excess of the water  
14 quality standard, then it's pretty clear that the  
15 discharge, the constituents in the discharge are violating  
16 the water quality standard. And that is the situation  
17 that's reported in this receiving water environment  
18 report.

19 MS. OSBORN: Ms. Cottingham, I did not ask the  
20 question on direct. Dr. Willing asked me to ask him about  
21 a correction he would like to make to his testimony, and I  
22 forgot about it, and with permission I would like to ask  
23 him about that now.

24 MS. COTTINGHAM: Is that a correction to his  
25 verbal or his prefiled?

**AR 055625**



1 MS. OSBORN: The prefiled, yes.

2 MS. COTTINGHAM: I'll allow the question unless  
3 there's any objection.

4 MR. PEARCE: No objection.

5 Q (By Ms. Osborn) Dr. Willing, you indicated to me that  
6 there's an error in your statement at paragraph 41 that  
7 you would like to correct. Would you please tell us what  
8 that correction is?

9 A Yes. This is a mistake that I didn't catch in the  
10 preparation of my prefiled testimony. The middle of the  
11 page says that hardness renders metal ions in water less  
12 toxic by providing positively charged exchange sites for  
13 the metals to attach themselves.

14 MS. COTTINGHAM: Where are you again?

15 A In the middle of the page, page 21, paragraph 41.

16 Q The statement starts "Hardness renders metal ions"?

17 A Yes. And the correction should be, instead of saying  
18 "providing positively," it should say "excluding  
19 negatively charged sites". What I did was get the two  
20 ends of two magnets lined up so the plus ends are facing  
21 each other and that can't work.

22 MS. OSBORN: Thank you. We have no further  
23 questions.

24 MS. COTTINGHAM: Mr. Poulin, I understand you  
25 have a question.

**AR 055626**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. POULIN: Yes, Your Honor.

EXAMINATION

BY MR. POULIN:

Q Dr. Willing, we've discussed on direct and on cross the 1997 Stormwater Receiving Environment Monitoring Report?

A Yes.

Q You have reviewed not only the summary report but also the technical appendices?

A Yes, I have. It's very extensive and I can't claim to be completely conversant with it, but I spent a lot of time reading it, yes.

Q Do you recall whether the technical appendices report hardness for individual samples?

A My recollection is that they do, yes.

Q Is it also your understanding of the stormwater receiving environment report that it was undertaken as a requirement of the Port's NPDES permit?

A That's my recollection, yes.

Q And I believe you stated that it involved sampling not only the discharge but also the receiving water upstream and downstream?

A Yes, it was intended to ascertain the effects of the discharges on the receiving waters.

Q And my final clarification, if we could briefly refer back

**AR 055627**

1 to the map in Exhibit 424, if I'm not mistaken.

2 MS. COTTINGHAM: 425.

3 MR. POULIN: 425, thank you.

4 Q Do you recall that Mr. Pearce asked you about the outfalls  
5 at SDN 1, SDN 2, SDN 3, and SDN 4. They discharge to  
6 Miller Creek through Lake Reba, is that right?

7 A Yes.

8 Q And they're on the top of this map?

9 A Right.

10 Q But SDN 3 is down here at the bottom, isn't it?

11 A Yes, it is.

12 Q That doesn't have anything to do with Lake Reba, does it?

13 A No, that's to the north. Lake Reba is part of the Miller  
14 Creek basin and SDS 3 is a tributary of the Des Moines  
15 Creek basin.

16 Q Isn't it true that SDS 3 is on the west side of a divide  
17 that flows into the west branch of Des Moines Creek?

18 A Yes.

19 Q That's removed from non-Port influences over here on the  
20 east branch, isn't that right?

21 A My understanding is that SDS 3 is very -- not exclusively  
22 but has a very small proportion of its watershed area that  
23 is not controlled by the Port of Seattle.

24 MR. POULIN: No further questions.

25 MS. COTTINGHAM: Board questions.

**AR 055628**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. JENSEN: Yes.

Dr. Willing, you were asked a question on cross-examination about -- I forget what it was about, but you referred in your response to instream flow method -- what is that again, IFIM?

THE WITNESS: Yes. IFIM is instream flow incremental methodology, and it's a pretty standardized model developed by the United States Fish and Wildlife Service for ascertaining the suitability of the habitat of a stream for individual species, and it's even broken down more specifically than that, it's individual life stages of the individual species.

MR. JENSEN: I think you indicated your surprise that one had not been done for these creeks, or you didn't see one referenced in the various documents you had?

THE WITNESS: That's correct, yes.

MR. JENSEN: Why were you surprised?

THE WITNESS: Well, in previous discussions that I've encountered where there was a question about what is the effect of action X going to be on stream Y, then the tool for dealing with that in my experience has been to do an IFIM model to take a look and see what's going on. I've encountered this in a number of other situations where those have been done.

MR. JENSEN: Have you seen any indication or

1 received any information as to why one was not done here?

2 THE WITNESS: I have no information as to why it  
3 was not done.

4 MR. JENSEN: That's all I have.

5 MS. COTTINGHAM: Mr. Lynch, do you have  
6 questions?

7 MR. LYNCH: I have a couple of questions.

8 Thank you for your testimony today.

9 You were asked a question about the effectiveness of  
10 water treatment wetlands, on cross-examination, in  
11 removing metals from the waters, and you said that it  
12 stored the metals but they could easily be mobilized at  
13 some later point. And I wanted to understand that a  
14 little bit better. Would they be mobilized just by a  
15 regular rainfall or would it take a major storm event?  
16 I'm trying to get a sense of how easily these metals would  
17 be, I guess, flushed from the water treatment wetland.

18 THE WITNESS: Mobilization of metals that were  
19 bound in a particulate form, for instance, the form could  
20 be changed by a couple of different things happening. One  
21 is that the pH might change, the pH would go down. The pH  
22 is the hydrogen ion concentration in the water or the  
23 acidity of the water, in other words, if the water becomes  
24 more acid, then the bound forms of the metal tend to  
25 become more mobilized and go back into the dissolved

**AR 055630**

1 state.

2 Another thing that can happen is that the dissolved  
3 oxygen can drop, and this can happen as a result of  
4 biological activity or chemical activity. It can be  
5 either biological or chemical things going on that would  
6 consume available oxygen and the dissolved oxygen would  
7 drop, and that also would have the effect of changing the  
8 form of the metals so they would go back into the  
9 dissolved state or into the biologically available state.

10 The third thing that can happen, particularly in the  
11 saltwater environment, the nearshore receiving waters, if  
12 you will, what flows downstream from Des Moines Creek is  
13 eventually going into the bay out there, so in the  
14 nearshore marine environment you can have other chemical  
15 species that will, if the metal is bound to some particle,  
16 you know, one of the organic colonies we're talking about,  
17 then there are things in the marine environment,  
18 particularly chlorine, which is readily available, that  
19 competitively seek those binding sites and can turn the  
20 metal into a dissolved state. I refer to this in my  
21 testimony. So there's several things that can go on there  
22 that can change the form or change the dynamics of the  
23 metal in the place where it's being stored temporarily.

24 MR. LYNCH: I have another question regarding  
25 page six of your prefiled testimony, paragraph 15. In the

**AR 055631**

1 second sentence of paragraph 15, you refer to a particular  
2 concern as the lack of demonstration that a storage vault  
3 can maintain water quality over a six- months storage. I  
4 was interested a little bit about the water quality in one  
5 of these storage vaults over a period of time. Is it that  
6 the temperature goes up or the oxygenation in the water is  
7 changed? And then I also would be interested in your  
8 thoughts about the fact that this water is sitting in the  
9 storage vault; do any of these metals precipitate out or  
10 cause the pH of the water to change? Or just educate me a  
11 little bit more about the water in the storage vault.

12 THE WITNESS: Okay. The Port itself in some of  
13 its own documents has acknowledged that dissolved oxygen  
14 in these vaults is going to be used for augmenting stream  
15 flow is a concern, and their designs have shown an  
16 increasing acknowledgment of that problem in the  
17 successive iterations of the low-flow augmentation studies  
18 and accompanying plans to do something about that, so they  
19 know that there's a dissolved oxygen situation that they  
20 have to take account of.

21 Their response has been: Well, we will allow the  
22 King County standard for ventilated surface, in other  
23 words, grates, to get free air movement across the surface  
24 of the water, and if that doesn't work we'll increase the  
25 dissolved oxygen by using bubbler systems or some other

**AR 055632**

1           technique to make sure that the dissolved oxygen doesn't  
2           drop. So I think that can be done and the Port has  
3           certainly shown an increasing acknowledgment of the fact  
4           that has to be done.

5           The overall dynamics of what's going on in the storm  
6           water depends on what's in it in the first place, and  
7           what's going to take place in the storage vault itself is  
8           second, and, third, how do you get it out of there, you  
9           know, are you going to get it out of there in such a way  
10          it doesn't stir up the sediments and remobilize things?  
11          So all of those details have to be attended to  
12          satisfactorily in order to make the stormwater storage  
13          concept work and make it capable of producing water that  
14          can be used for augmentation in the low flow of a  
15          Class AA stream.

16                 MR. LYNCH: Will some of these metals that are  
17                 in the water precipitate out if they're in a storage  
18                 vault?

19                 THE WITNESS: It's hard to say. Some of them  
20                 probably would, if there are available things for them to  
21                 bind onto, then they would; if there aren't things  
22                 available for them to bind onto, organic carbon, for  
23                 instance, or finely divided sediment, as Dr. Sansalone  
24                 reports in his paper that I have attached here, then they  
25                 could just remain in the dissolved state there. So the

**AR 055633**



1 monitoring program that companies the low-flow study has  
2 kind of a retrospective character about it in the sense  
3 that you look and see your problems develop rather than,  
4 you know, dealing with it ahead of time.

5 MR. LYNCH: Thank you.

6 MS. COTTINGHAM: I have two questions.

7 I want you to explain the difference between two  
8 things. One is the table on Table 19 in Exhibit 426 that  
9 you used, and I believe it's on page 35.

10 The column on the far right-hand side that says  
11 "criteria standards," do you see that there on the far  
12 right-hand side?

13 THE WITNESS: Yes.

14 MS. COTTINGHAM: How did those numbers -- well,  
15 let's use copper, for example. How do those numbers there  
16 compare with something on the bottom of one of the  
17 illustrative exhibits where at the bottom it says acute  
18 water quality criterion 10.3 equals point 0103. I'm  
19 trying to figure out why the numbers aren't the same. Can  
20 you explain why they're different?

21 THE WITNESS: I'm not following your comparison.  
22 I see the 4.2 on Table 19.

23 MS. COTTINGHAM: Yes. Then this illustrative  
24 exhibit that was part of your testimony has point 0103.  
25 Can you explain the differences? They may be just in my

**AR 055634**

1 understanding of the calculations rather than any  
2 difference in standards.

3 THE WITNESS: Well, the 4.2 micrograms per  
4 liter, which is the terms that Table 19 is reported in,  
5 would correspond to an acute water quality criterion of  
6 10.3 micrograms per liter on the illustrative exhibit.

7 MS. COTTINGHAM: Explain to me how they relate  
8 to each other, is calculation a factor?

9 THE WITNESS: Yes. They relate through the  
10 hardness values. If you noticed on the illustrative  
11 exhibit -- and this is the effect that changing hardness  
12 has on the criterion. You see on the illustrative  
13 exhibit, the line below that has 56 milligrams per liter  
14 of hardness?

15 MS. COTTINGHAM: Yes.

16 THE WITNESS: Okay. The effect of lowering the  
17 hardness value to the 23 milligrams per liter assumed on  
18 Table 19 -- you see footnote (d) there?

19 MS. COTTINGHAM: Mm-hmm.

20 THE WITNESS: The effect of lowering that number  
21 from 56 to 23, cutting it in half, more or less, has the  
22 effect of lowering the water quality criterion for copper  
23 from 10.3 micrograms to 4.2 micrograms.

24 MS. COTTINGHAM: Thank you. I just wanted you  
25 to walk through that for me.

**AR 055635**

1 THE WITNESS: Okay.

2 MS. COTTINGHAM: The next question I have for  
3 you -- I didn't quite catch it. You were testifying about  
4 the filter strips. You said the storm water won't be  
5 effectively treated by filter strips, and then you said  
6 that the earlier 401 had a more elaborate treatment  
7 scenario. Can you explain the differences between, from  
8 your understanding, of the August -- I assume when you  
9 said earlier you meant August versus the September 401.  
10 What happened, what changed that changed your analysis?

11 THE WITNESS: I think I didn't make my reference  
12 clear. The version of the 401 water quality certification  
13 that had the elaborate list of best management practices,  
14 essentially has conditions in the 401, was the 1998  
15 version. It was not the earlier 2001 version.

16 MS. COTTINGHAM: Great. You don't have to go  
17 further then, it was not the difference between September  
18 and August, it was an earlier -- was that a draft?

19 THE WITNESS: I believe. I'm not sure of my  
20 legal facts here what exactly happened, but the 1998 water  
21 quality certification was issued, granted, and then I  
22 don't know what happened, but it was withdrawn and we  
23 wound up with --

24 MS. COTTINGHAM: We'll leave that testimony for  
25 somebody else, I'm sure, but I just wanted to clarify what

**AR 055636**

1 your point of reference was.

2 I have no further questions.

3 Mr. Jensen.

4 MR. JENSEN: I have one question I was  
5 wondering about. Is there a difference between a filter  
6 strip and a sand filter strip?

7 THE WITNESS: Yes, there's a big difference.

8 MR. JENSEN: What is that difference?

9 THE WITNESS: A filter strip, basically all you  
10 have to do is grade the surface of the ground and scatter  
11 grass seed and you're pretty much in business. A sand  
12 filter is an elaborately constructed designed facility  
13 which has a quite tight specification on what the sand  
14 filter media are and what the underground system is and  
15 the loading rate and the velocity going through the sand  
16 filter. You know, it's a pretty sophisticated  
17 installation. And I believe the Ecology refers to some  
18 chemical amendments that can be used; well, the most  
19 recent Ecology stormwater manual refers to specific  
20 amendments that can be made to sand filters to make them  
21 behave better as metals removal facilities. So a sand  
22 filter is a constructed facility filter strip, has pretty  
23 much a hap-hazard grading of the surface and seeding it  
24 with some sort of vegetation, usually grass.

25 MR. JENSEN: Thank you.

**AR 055637**

1 MS. COTTINGHAM: Are there questions as a  
2 result of the Board questions?

3 MS. OSBORN: Just one.  
4

5 EXAMINATION

6 BY MS. OSBORN:

7 Q In response to Mr. Lynch's question regarding water  
8 quality in the stormwater reservoirs that are to be used  
9 for low-flow augmentation, you're familiar with the  
10 December 2001 low-flow plan, is that right?

11 A Yes.

12 Q Does it resolve the issues concerning or deal in any  
13 detail with the issues concerning water quality in those  
14 flows?

15 A Not to my satisfaction, no.  
16

17 EXAMINATION

18 BY MR. POULIN:

19 Q With respect to the water quality in long-term storage  
20 vaults, are you aware of growing understanding of pH  
21 problems associated with new concrete vaults?

22 MR. YOUNG: I object on lack of foundation.

23 MS. COTTINGHAM: Lay a foundation.

24 Q (By Mr. Poulin) Is there a concern about pH with new  
25 concrete vaults?

**AR 055638**

1 A My understanding of the Port's intention is to construct  
2 the storage vaults out of poured concrete, and poured  
3 concrete is known to have some quite startling effects on  
4 pH of water that's stored in it.

5 Q And that pH is one of the factors you've identified that  
6 can remobilize stored metal?

7 A Yes.

8 MR. POULIN: Thank you.

9 MS. COTTINGHAM: Mr. Pearce, any questions  
10 result of Board questions?

11 MR. PEARCE: Very briefly.

12

13

EXAMINATION

14

BY MR. PEARCE:

15 Q I believe you testified in your deposition about practices  
16 to aerate water that's been stored for some time. Do you  
17 remember that?

18 A Yes.

19 Q Bubblers are very common?

20 A Relatively, yes.

21 Q And running water across a - pardon my lack of technical  
22 understanding - a wash board or a crinkled surface is also  
23 a method that can be used?

24 A Turbulent flow exposed to available oxygen is a good way  
25 to aerate a stream of water, yes.

**AR 055639**

1 Q How about BMPs for the insides of stormwater vaults where  
2 they may contact water, you can just paint them, can't  
3 you, paint them or seal them?

4 A I assume it would be possible to seal, yes, in fact I have  
5 experience in the drinking water business of concrete  
6 vaults that can be sealed against effects from the vault  
7 itself.

8 MR. PEARCE: Thank you. That's all I have.  
9 Thanks very much.

10 MS. COTTINGHAM: Mr. Young.

11 MR. YOUNG: Nothing.

12 MS. COTTINGHAM: You're excused. Thank you.

13 And with that I think we'll break for lunch. Is it  
14 the interest of the Board members and the parties to take  
15 a one-hour lunch or do you need a little more time?

16 How about if we come back at 1:30.

17 With that we'll go off the record.

18 (Noon Recess).

19 (The following proceedings were had in the  
20 absence of Board Members Bob Jensen and Bill Lynch)

21 MS. COTTINGHAM: We'll go back on the record.

22 I'm going to deal with the motion or whatever the  
23 issue is that's going to come before us.

24 Mr. Eglick.

25 MR. EGLICK: Shall I proceed?

**AR 055640**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MS. COTTINGHAM: Yes.

MR. EGLICK: Thank you.

We have asked that the Board exclude from the prefiled testimony of Charles Ellingson, paragraph 18 and Exhibits C and D, and then also from the prefiled testimony of Joseph Brascher, paragraph 13 and paragraphs 37 and 38. We also ask that the Board exclude any live testimony, of course, that would attempt to convey related or similar information and exclude anything else that as it appears now there may be some thought that is going to be offered. Let me explain.

I know the Board is well aware of the background in terms of the prehearing order, but just if one looks at the original October 30th prehearing order on page four, there's a couple of key sentences under the section that's titled on page four of that October 30 order, roman numeral four preliminary exhibit, that I think we want to bear in mind for the discussion here. And I'm referring to the lines beginning at approximately line 12 that say: On or before November 15th, Respondents Ecology and the Port will identify all plans and reports prepared or expected to be prepared pursuant to the 401 certification.

Now if one looks at the 401 certification, one of the key plans or reports that was called out as needing to be prepared, and we've said before of course that we think



1           there was quite a list of work that needed to be done for  
2           that was in condition I on page 22 of the September 401,  
3           which I believe is Exhibit 1.

4                       MS. COTTINGHAM: What page?

5                       MR. EGLICK: Page 22 of the September 401, and  
6           it's condition I. And as we've discussed a number of  
7           times at the stay proceeding and in various other  
8           contexts, there are four pages of descriptions of what  
9           needs to be done, all with the end of submitting to  
10          Ecology an acceptable low-flow plan. And if you look at  
11          condition I, the first paragraph in it refers to a revised  
12          plan integrating the low streamflow analysis and summer  
13          low-flow impact effect facility proposal into a single  
14          document that addresses the following issues. And then  
15          the list of issues goes on for four pages.

16                      So that's the lone star for our concern here. I  
17          don't want to neglect the fact that we also have a  
18          discovery concern, but I do want to focus on the  
19          prehearing order for a moment. Because the prehearing  
20          order says, well, if you've listed these plans and reports  
21          then here is what you have to do: For those plans and  
22          reports expected to be completed between November 16, 2001  
23          and February 2002, respondents shall identify the  
24          estimated completion dates. So when are you going to have  
25          it done? You have to let folks know, and I don't think we

**AR 055642**

1 ever really got that in the way we would have hoped, but  
2 fair enough, let's move on. If those plans and reports  
3 are completed on or before February 1, 2002, respondents  
4 shall provide copies to Appellant ACC when complete. And  
5 then of course the order goes on and says, even if they're  
6 noted on the list, you can't rely on a plan or report that  
7 was prepared after February 1.

8 So you have this operative cutoff date of February 1,  
9 if it's prepared after, you can't rely on it, you can't  
10 use it, and then in addition you're supposed to provide  
11 it. And then beyond that there was a special discovery  
12 period leading up to February 28th, so there was an  
13 extended discovery period for this purpose only. So if  
14 you had a plan or report prepared by February 1, and  
15 you've provided it to the appellants, then the appellants  
16 would have a little bit longer time, till February 28th,  
17 to do discovery on this document.

18 The problem is here that what Brascher and Ellingson  
19 are referring to and what we've also just received some  
20 other documents on from Ecology are changes to the  
21 low-flow plan and report that were done after the cutoff  
22 date, that were provided after the cutoff date, and that  
23 therefore have no place in this proceeding. And in that  
24 context, I did tell Judge Lucas and I'll tell the  
25 presiding officer as well that we of course have said

**AR 055643**

1 before that we feel as though we're shooting at a moving  
2 target in this case. We would have liked to have had the  
3 target stabilized as of September 21, the decision was  
4 made to give six additional months, but those six  
5 additional months were up on February 1, and I think  
6 that's a fair way to go and we think that should be  
7 observed.

8 We also received yesterday in our office in Seattle,  
9 when we say "we," Helsell Fetterman, a packet of documents  
10 from Ecology. These were apparently sent to us, not --  
11 I've talked to Mr. Kray about this several times and he  
12 has told me that these were not sent to us pursuant to  
13 discovery, that his feeling is that these are not  
14 something that we were entitled to under a supplementation  
15 requirement on discovery, they were sent to us because we  
16 happened to send out one of our regular -- Andrea Grad  
17 sent out a public disclosure request a couple of weeks  
18 ago, so we were sent these documents.

19 They include, for example, a report that is part of  
20 changes to the low-flow plan, dated March 6, received  
21 March 11, which is apparently related to some of the  
22 materials that Ellingson and Brascher are referring to in  
23 their testimony. They also include a memo that gave us  
24 some pause, it was an e-mail dated I believe February 25,  
25 and what gave us pause about the e-mail was that -- and

**AR 055644**

1 Mr. Kray knows that we have this and we've spoken about it  
2 with Judge Lucas, it's an e-mail from Ann Kenny to  
3 Ed Abbasi - and I apologize if I've mispronounced his  
4 name - John Drabek, Dave Garland, Ray Hellwig, Kevin  
5 Fitzpatrick, Joan Marchioro, Tom Young, and Jeff Kray.  
6 The last three of course are the counsel for Ecology. And  
7 what it is is Ann Kenny saying: Well, here are these  
8 documents we've received and I want to get your feedback  
9 as soon as possible so that we can get them finalized and  
10 approve the revisions to the low-flow report.

11 Well, the problem is it's dated February 25, and it  
12 seems as if everybody but us knew what was going on here.  
13 Now, we did take depositions and tried to track this, and  
14 I want to kind of give the Board a little background on  
15 that. We took a deposition -- excuse me. The low-flow  
16 plan was issued on December 17, 2001, the one that we  
17 thought was the revised low-flow plan. So on December 20,  
18 we deposed Kelley Whiting, he is the person from King  
19 County DNR who is doing the review for Ecology. And in  
20 the deposition he said he would be reviewing the low-flow  
21 plan in January, so we said okay, we'll continue the  
22 deposition till February. January 9th we took Dave  
23 Garland's deposition, and I think the Board is familiar  
24 with the facts there.

25 January 30th we deposed Joe Brascher, and he is one

**AR 055645**

1 of the persons whose portions of his prefiled we want to  
2 exclude. He said he had been in contact with Kelley  
3 Whiting and was beginning to make revisions to the model.  
4 Well, that's fine, nice, but we had nothing provided, it  
5 hadn't been done yet. There was a meeting on February  
6 12th between Ann Kenny and Kelley Whiting and Keith Smith  
7 of the Port, at which apparently Kelley Whiting advised on  
8 what some of his concerns were about the low-flow plan in  
9 a memo, and the testimony in the depositions is that at  
10 the end of the meeting Ann Kenny handed the memo back to  
11 Kelley Whiting, so Ecology didn't have a copy. Why they  
12 would do that, I don't know, but it certainly makes it  
13 harder to obtain it from Ecology if they hand back the  
14 copy.

15 Then, as the chronology goes on, Ann Kenny, on  
16 February 19th we know directed the Port to prepare a  
17 validation report and revised low-flow plan. February  
18 19th. February 20th we deposed Kinney and Ellingson and  
19 they say, well, this is in the works but they don't have a  
20 product. February 21st, we asked King County for  
21 information and we get some information relating to Kelley  
22 Whiting's review, but we don't get the product. February  
23 28th we depose Kelley Whiting, and that's the last  
24 possible day we could have deposed him under the Board's  
25 prehearing order, and Whiting says that he hasn't received

**AR 055646**

1 any responsive reports to his concerns that he has raised  
2 and he doesn't know when they'll arrive. So that's when  
3 our discovery ended, we're at the end of our rope.

4 So that's where our factual string that we were able  
5 to use in preparation for this hearing ran out was Kelley  
6 Whiting saying: Yes, I have concerns, but I have no  
7 product, I don't know what's been done about them. And as  
8 I say, February 28th was the discovery cutoff. So then on  
9 March 7, the Port and Ecology submit prefiled testimony  
10 and as we're now kind of figuring out from looking at the  
11 prefiled, triangulating it with these documents we just  
12 received last night, it appears that these revisions have  
13 been ongoing well after February 1. No one has told us  
14 and no one has told the Board and we're now bringing in  
15 the Brascher and Ellingson testimony with the attachments  
16 and we don't know in what other ways to respond to these  
17 revisions. What we would ask the Board to do again is to  
18 delete, exclude the particular items that I've mentioned  
19 and also to make sure that the order is worded in such a  
20 way that they don't seep in through others' testimony.

21 I guess just a couple of other points. I know  
22 Mr. Kray told me, well, you know, there was some delays in  
23 public disclosure response from Ecology because persons  
24 were sick and this and that sort of thing and that's why  
25 your response to your public disclosure request was

**AR 055647**

1 delayed. And I've got great sympathy for staff problems,  
2 but we didn't even ask through public disclosure - and we  
3 always ask for just whatever you have, we don't say we  
4 want this or that - until a week or two ago, and that was  
5 our routine fail-safe public disclosure request.

6 There is an order here, there is a discovery process  
7 here, and it's not even our fault and it's not really  
8 relevant why there was a delay in the public disclosure  
9 response because that request even came long after the  
10 February 1 cutoff. And incidentally, I know Mr. Kray  
11 said: Well, Andy Grad got our e-mail about we were  
12 delayed in that and e-mailed back right away and said she  
13 was out of the office and thank you and all of that.  
14 Well, actually, as the Board knows, Ms. Grad has been  
15 sitting here and the e-mail that she got from Ecology was  
16 responded to by a little magic device called auto-reply.  
17 So when Ecology sent it to Ms. Grad on March 18th saying  
18 we're going to have some documents for you, Any Grad  
19 didn't respond, the auto-reply responded saying I'm out of  
20 the office in trial. So minor point.

21 I believe that the Port is going to suggest, because  
22 we did talk about this earlier, that it's not a result  
23 that they would like to see. Because what they will then  
24 be left with is a record in which they have Mr. Whiting  
25 come in and say: Yes, there's some problems here and I

**AR 055648**

1 don't know how they're going to be resolved. And we don't  
2 know what the Port's latest iteration of resolutions to  
3 the latest problems are which have come in within the last  
4 week or two. And that's true, and we think that's an  
5 inevitable and appropriate result. And I would like to  
6 speak to that for a moment.

7 The Board gave in its wisdom and what it thought was  
8 out of a sense of fairness, and we respect that, the Board  
9 gave the Port and Ecology six, you could also argue seven  
10 months, if you remember that the initial 401 was issued in  
11 August, to finish the low-flow plan. And of course we  
12 won't talk about all of the years before the certification  
13 was actually issued. So we had no control over when they  
14 got to work on it, when they got done with it, and when  
15 they produced it. The only thing that we had to protect  
16 us in terms of fairness in this proceeding was: Folks,  
17 you know, it's from September to February 1, you ought to  
18 be able to come up with a product that you are proud of  
19 that you can stand in front of the Board and that we can  
20 all use as a basis for this hearing. And what the Port is  
21 really saying is: Well, don't blame us, blame Ecology.  
22 Whatever, it didn't happen, and they're asking to be  
23 allowed to go past that. That will prejudice us greatly.  
24 Our folks have come and gone on the low-flow report, and  
25 it's really something where we would ask the Board, please

**AR 055649**



1 look at it closely, because we think it's a very important  
2 point.

3 Thank you.

4 MR. REAVIS: Let me just explain what this  
5 document that I think is a key document really is and what  
6 it is not. It is not a new version of a low-flow plan.  
7 And I think the Board yesterday clarified the prehearing  
8 order to relate only to documents prepared or expected to  
9 be prepared pursuant to the 401 certification, things that  
10 were formal aspects of the 401 conditions.

11 This document is a verification report that is not  
12 listed anywhere in the 401, that no one at the time the  
13 401 was issued anticipated that this would be a future  
14 deliverable. So how did it come about? And I think the  
15 chronology that Mr. Eglick was going through is accurate,  
16 but I think there are a couple of other points in there to  
17 talk about. And first, the low-flow plan itself was  
18 submitted in December of 2001. We believe it was a  
19 complete report. We're not suggesting now that we're  
20 trying to complete the low-flow report, we think it was  
21 complete and covered all of the points. Now, what  
22 happened in terms of chronology was that report was  
23 submitted to Mr. Kelley Whiting and no one received any  
24 comments back from Mr. Whiting until February 19, and  
25 there was a meeting that Mr. Eglick referred to with

**AR 055650**

1 Ms. Kenny and Mr. Whiting and a number of other people on  
2 February 19th, and that's when these comments started  
3 coming out. And that's what the Port is responding to  
4 now, comments that didn't come to light until after  
5 February 1st. So to suggest that we somehow should have  
6 done that before February 1st, it simply would have been  
7 impossible because we didn't know what Mr. Whiting's  
8 comments would be.

9 Now it's not true that ACC has had no idea of this  
10 ongoing process, because the day after that meeting,  
11 Ms. Kenny's deposition was taken and there were a couple,  
12 at least one exhibit -- two exhibits I think in that  
13 deposition that related to this very issue. One was the  
14 agenda for that February 19th meeting, and the other I  
15 believe, if not produced that day, produced later, were  
16 Ms. Kenny's notes of that meeting. And Ms. Kenny  
17 testified at some length about what happened at the  
18 February 19th meeting and listed all of Mr. Whiting's  
19 comments. So that's the first time I think the Port knew  
20 what those comments were, certainly the first time ACC  
21 knew what those comments were, but it was impossible for  
22 the Port to respond to those comments prior to that.

23 Now, a few days later, Mr. Whiting produced a memo on  
24 the 23rd of February, which was an exhibit in this case  
25 and which was a deposition exhibit later on, and

**AR 055651**

1 Ms. Kenny's notes were also an exhibit in this matter,  
2 Number 730, Mr. Whiting's memo is Number 458, the agenda  
3 is Number 459. So all of those memos have been in the  
4 record for some time now.

5 Now, Mr. Whiting also in his prefiled testimony  
6 mentions all of these issues. He says: I reviewed the  
7 low-flow plan, I have a number of additional comments,  
8 I've submitted those to the Port. So I think what ACC is  
9 suggesting is to leave the record that way, no comments  
10 after February 1st, and the Port is unable to respond. If  
11 you look at those provisions in Mr. Brascher's and  
12 Mr. Ellingson's testimony, all they're trying to do is say  
13 we reviewed this comment, we think it's a relatively minor  
14 comment but we responded.

15 If you look at paragraph 13 of Mr. Brascher's  
16 prefiled, it's says: I understand that King County has  
17 raised concerns about the potential impact of the Miller  
18 and Walker Creek calibrations based on the minor changes  
19 that have been made to the 1994 land use conditions.  
20 These impacts have been examined and have been determined  
21 to be inconsequential. Our elevation of these impacts  
22 were summarized in the calibration verification report  
23 recently provided to the county.

24 Now that's the document that I think we're talking  
25 about here, all Mr. Brascher is saying is we believe

**AR 055652**

1 Mr. Whiting's comments are very insignificant and we've  
2 complied with his request to submit this document. We are  
3 not offering this document that Mr. Eglick is talking  
4 about, it's not on the exhibit list, we're not suggesting  
5 the Board consider it, we think Mr. Brascher ought to be  
6 at least allowed to say that he has reviewed those  
7 comments, doesn't believe that they're significant, and he  
8 has responded by giving the deliverable that's been  
9 requested.

10 And really Mr. Ellingson's comments are much the  
11 same, he says that Mr. Whiting subjected a couple of  
12 modifications to two tables in the low-flow plan, and  
13 we've revised those tables and here they are. It's a very  
14 minor issue, it is to a certain extent an addendum to the  
15 low-flow report, but it's very insignificant and that's  
16 all Mr. Ellingson is trying to say in his testimony.

17 Now these particular documents I don't believe are  
18 the type of documents that were covered by the prehearing  
19 order, first off, no one could have anticipated that they  
20 were to be delivered, so there's no way anyone could have  
21 listed them by November 15th, we couldn't have produced  
22 the documents either by February 1st, because there was no  
23 knowledge of them. But also I think these are the types  
24 of documents that everyone anticipated would be generated  
25 during implementation of the 401, when additional

**AR 055653**

1 questions came up the questions would be responded to, and  
2 work on the 401, as I'm sure you recognize, has not ceased  
3 during this lawsuit and this is just one of the documents  
4 which has been generated which, to repeat myself, we are  
5 not even offering here.

6 We think it's really fundamentally unfair for ACC to  
7 leave in Mr. Whiting's testimony saying he has outstanding  
8 concerns with the Port's low-flow plan and then prohibit  
9 the Port from responding to that. And I don't hear ACC  
10 suggesting that we simply strike  
11 Mr. Whiting's testimony and put us back to the situation  
12 we were in before February 1st. That would be one fair  
13 way to deal with this, but if you're going to leave  
14 Whiting's testimony intact, it seems only fair for the  
15 Port to be able to respond.

16 I think Mr. Kray wants to talk about some of the  
17 procedural aspects. But we believe that these portions to  
18 this testimony and the two exhibits to Mr. Ellingson's  
19 prefiled testimony should not be stricken.

20 MR. KRAY: Ms. Cottingham, I thank you for the  
21 opportunity to discuss those aspects. But I don't think  
22 those are the issue. My sense from hearing Mr. Eglick and  
23 Reavis is that there's a larger issue here, it comes back  
24 to much the same issue as you ruled on yesterday with  
25 regard to the prehearing order and where the cutoff is and

**AR 055654**

1 things like that, what is related to the 401 and what is  
2 deliverable under the 401 and that type of thing. My  
3 sense is that the Department of Ecology's public  
4 disclosure response providing information is merely a  
5 vehicle for the ACC to raise this issue, and I think it's  
6 the same issue that the Board as already addressed.

7 I do have information, I can give you some more  
8 details about how I think Ecology properly carried through  
9 its duties under the Public Disclosure Act and produced  
10 the documents in a timely fashion. I can say on behalf of  
11 Ecology that I think they have been doing a very good job  
12 in trying to keep up with a high volume of information, I  
13 think they've taken special efforts with regard to the  
14 nature of this case to try to get documents out, I think  
15 they did so here. There may be a couple of instances  
16 where there were some documents did not quite get handled  
17 the way we would like, we did have some personnel that  
18 were out, but the delays were relatively minor and I think  
19 the overall information had been conveyed. But as I said,  
20 I really don't think that's the thrust, I think the Port  
21 and Mr. Eglick have addressed the real core issue for the  
22 Board and I won't take any further time, unless you have  
23 questions of me.

24 MS. COTTINGHAM: I don't have any questions. I  
25 do have general questions, but I'll ask them after I get

**AR 055655**

1 all of the argument out.

2 MR. POULIN: Ms. Cottingham, if I might just  
3 very briefly. I might say I admire Mr. Eglick's civility,  
4 but on behalf of CASE, I would like to comment on  
5 Ms. Kenny's affirmative act of returning the report to  
6 Kelley Whiting. If that's not a clear example of Ecology  
7 purifying the record so that they did not have any  
8 producible documents to give to ACC in response to these  
9 requests that are routine, I don't know what is. I've  
10 never heard a bureaucrat saying: No thanks, I don't want a  
11 copy of the support report for my files. Clearly, there  
12 has been an organized, knowing effort to block the kick  
13 and to prevent ACC from finding out what's going on with  
14 this very crucial report, and I think it's had a clear  
15 prejudice and it's playing out right now.

16 MS. COTTINGHAM: Would you like to have  
17 rebuttal?

18 MR. EGLICK: I would briefly.

19 I think I heard the word "inconsequential" at least  
20 three times. I guess if it's so inconsequential maybe we  
21 should just exclude it and it won't be a problem. I think  
22 the reality is that these attachments to, for example,  
23 Mr. Ellingson's testimony are not inconsequential, they're  
24 replacement pages for parts of the low-flow report.  
25 Although they dismiss criticisms as being minor and

**AR 055656**

1 inconsequential, they have now come up with replacement  
2 pages that they want to have inserted that change the  
3 analysis. I believe that they relate to the same kind of  
4 issue, maybe the same issue as in this verification report  
5 dated March 6, produced by the Port, and remember we got  
6 this through public disclosure from Ecology, we didn't get  
7 it from the Port or from Ecology in this case as we were  
8 supposed to.

9 And the first paragraph or page one of this document  
10 says: The purpose of this technical report is to document  
11 the -- and they say minor changes that have been made to  
12 the Miller and Walker Creek HSPF SMP calibration models  
13 for the low-flow report, 1990 target flow conditions for  
14 the low-flow report. It's exactly what was contemplated,  
15 it's within that core, it's the very thing. And it's  
16 true, and I hope I didn't misspeak, I think I made it very  
17 clear we knew the process was going on and we kept on  
18 trying to get inside of it, even taking Kelley Whiting's  
19 deposition on the last day we could have, the continued  
20 part two of his deposition, February 28th, and as far as  
21 we got there nothing was done. So that is where it was  
22 left, we knew Whiting had concerns, nothing had been done  
23 to revise the report. Process is great and knowing  
24 there's a process it's very nice that they kind of let us  
25 know there was a process, but we should have had whatever

**AR 055657**



1 changes, substitutions, alterations, minor, major,  
2 inconsequential. And that's the issue here.

3 There is a difference between the Kelley Whiting  
4 testimony and what they want to offer, the difference is  
5 of course first of all we're entitled to have anything in  
6 up until February 28th, because we were given the  
7 opportunity until February 28th to take discovery and we  
8 did. It would be unfair to cut us off before then and  
9 exclude Mr. Whiting's comments. It would be fair to  
10 enforce the February 1st cutoff because that gave the  
11 parties six or seven months. And that's the answer to  
12 that in terms of why it should come out that way. The  
13 other way would leave us I think in a very disadvantageous  
14 position, and what the Port and Ecology would have  
15 accomplished is exactly what we asked the Board to prevent  
16 back in October and I think the Board agreed to prevent,  
17 and that was so that we wouldn't be dealing with a moving  
18 target up until and through the hearing.

19 I would be happy to answer any questions.

20 MS. COTTINGHAM: I did not write down while you  
21 were speaking a couple of dates, so I'm going to ask for  
22 clarification. Because I think what's before us is not  
23 the public disclosure issues but rather the discovery  
24 deadlines that I set forth in the prehearing order. So we  
25 have different aspects, one, we have the plans and

**AR 055658**

1 reports, and then we have the entirety of the exhibits  
2 outside and including those plans and reports. So in the  
3 prehearing order I had set forth a discovery deadline of  
4 February 1st and then an extended period until February  
5 28th and to have exchanged exhibits by February 8th. I  
6 did not set forth in the order a second exchange date for  
7 those later discovered, later deposed issues between the  
8 February 1st and February 28th; but that being what it is,  
9 the dates we have before us are February 1st, February  
10 8th, and February 28th. So can you tell me from the  
11 information that you have in front of you some of the  
12 operative dates?

13 MR. EGLICK: Well, I'm not sure I'm going to --  
14 let me know if I'm not giving you the most useful  
15 information, but I guess the place to start is we did not  
16 have these proposed replacement pages or even know that  
17 they existed until whatever date the prefiled was, and of  
18 course we didn't look at the prefiled right away because  
19 we were looking on a few other things like our trial  
20 brief, but we didn't have those until March 7th. We did  
21 not have these background materials from Ecology that kind  
22 of put it all in context of what these pages are from and  
23 how they were created until Mr. Stock went to the office  
24 last night and found the materials there. And I should  
25 add because I neglected to that we were also given --

**AR 055659**

1 Mr. Stock found in the office last night three CDs of  
2 data, because when you do these new things for the  
3 low-flow report and substitute in different calculations  
4 in the low-flow report, apparently the way you do that is  
5 you have a lot of modeling numbers and the CDs are  
6 apparently these runs of numbers that we just got  
7 yesterday evening. So those would be the operative dates,  
8 if I'm giving you the information you wanted.

9 MS. COTTINGHAM: You did.

10 Now I would like to ask -- maybe it's more Ecology,  
11 but I'll ask the two of you to respond. Given the  
12 deadlines set forth in the prehearing order, how can you  
13 justify allowing this information in beyond those dates?  
14 Do you have any rationale, any legal argument? I  
15 understand the evolving nature, but we did set forth that  
16 there would be a cutoff point for reliance. We weren't  
17 asking that everything stop and be on hold, but we did  
18 authorize, as Mr. Eglick said, six to seven months of  
19 continuing documentation to be compiled; but then at some  
20 point in time, it would not be allowed to be relied upon.

21 MR. REAVIS: If I could speak first. I think  
22 the first issue we have with regard to the March 6th  
23 document that seems to be the gist of Eglick's complaint,  
24 we are not offering that. I think the cutoff dates we're  
25 talking about here are for documentary evidence to be

**AR 055660**

1 produced. We're not offering that document. So I think  
2 the only question is the exhibits to Mr. Ellingson's  
3 testimony and, frankly, if he is not allowed to use those  
4 two exhibits, I don't think that's the point here, I think  
5 the point here is with his testimony he would like to say  
6 I have evaluated Mr. Whiting's comments, they are minor  
7 and we have addressed them. So I don't have as big a  
8 problem with the documents themselves as I do with not  
9 allowing our witnesses to say we've heard Mr. Whiting's  
10 comments and those comments really don't make a big  
11 difference to the low-flow analysis. So I think that's  
12 the critical piece here and in reality we simply could not  
13 have formulated that testimony earlier than we did because  
14 the issues didn't even come up.

15 MS. COTTINGHAM: And Mr. Whiting's comments  
16 were the February -- you had a date in there?

17 MR. REAVIS: The actual document that  
18 incorporated those comments was February 23rd.

19 MR. EGLICK: Well, I think what Ms. Paschal-  
20 Osborn, who took some of these depositions, so she is more  
21 familiar with the facts, is reminding me is that  
22 Mr. Whiting -- and we were kind of outside the box and  
23 kind of feeling in the dark, but he apparently started  
24 making drafts of his comments which he was sharing in  
25 January. So I don't know if it makes any difference in

**AR 055661**

1 terms of what you're trying to decide, but word was going  
2 out about what he wanted to have corrected before he got  
3 out his final version, and I think that's where we got  
4 into that situation where Ann Kenny was not holding onto a  
5 document that he had prepared because it wasn't the final  
6 one so she didn't want to keep it -- or she did keep it,  
7 I don't want to characterize her intent.

8 MR. REAVIS: If I could respond to that. I  
9 think that this transmission of information that  
10 Mr. Eglick is referring to may have been going on between  
11 Mr. Whiting and Ecology, I don't even know about that, but  
12 the Port wasn't in the loop at that point, I think they  
13 were having maybe preliminary discussions, but we're the  
14 people that had to respond to the comments and we didn't  
15 get them, to my knowledge, before at least this February  
16 19th meeting in some general form, and then the actual  
17 written comments on February 23rd.

18 MR. EGLICK: I think, you know, I am advised and  
19 I believe that in the Brascher deposition he talks about  
20 being in contact with Mr. Whiting about beginning to make  
21 revisions, and that's on January 30th. I don't want to  
22 kind of devolve this into that because I think the issue  
23 is of course if you start early you don't end up arguing  
24 about January or February, you just have it done; but I  
25 think it's not quite the way it's being described, Mr.

**AR 055662**

1 Brascher actually who works with the Port was on top of  
2 this before February. We weren't in that loop, but that's  
3 what the deposition brought out.

4 MS. COTTINGHAM: I think we're going to take a  
5 little bit of a break here, I am going to have a thought  
6 process either with myself or others, and we'll come back  
7 maybe in about ten minutes. So we'll go off the record  
8 and take a recess here.

9 (Recess).

10 (The following proceedings were had in the  
11 presence of the full Board)

12 MS. COTTINGHAM: We'll go back on the record.

13 Before our break, we had a motion by ACC to limit or  
14 strike certain testimony, both prefiled testimony and the  
15 live testimony that we'll be getting later today, I  
16 assume, related to some issues that appeared subsequent to  
17 some deadlines set forth in the prehearing order. Here is  
18 the ruling, and this will be memorialized in writing and  
19 we'll pass it out to you either later this afternoon or  
20 tomorrow.

21 The prehearing order was clear. We had a long  
22 discussion in the prehearing conference about there needs  
23 to be a cutoff for discovery purposes. We fully  
24 recognized that as this hearing would proceed and the  
25 timeframes that there be would be some evolution of things

**AR 055663**

1 but we did set some pretty clear cutoffs. We set February  
2 1st for a cutoff, and for some plans and reports that were  
3 expected to be completed we set a February 28th deadline.

4 Therefore, with those deadlines in mind, any party is  
5 prohibited from relying on information created after  
6 February 28th. This motion, the prefiled testimony,  
7 direct, cross, et cetera, can elicit how Ecology or the  
8 Port felt about or evaluated the comments of Kelley  
9 Whiting produced on or before the discovery deadline, but  
10 these witnesses may not indicate what the Port or Ecology  
11 has done since February 28th to revise, clarify, explain  
12 or modify the low-flow plan.

13 With this ruling the parties need to let me know to  
14 identify which paragraphs in the prefiled testimony and  
15 which attachments need to be redacted.

16 MR. KRAY: Your Honor, may I make one comment  
17 on the order?

18 I guess I have concern about the breadth of the  
19 order. These expert witnesses in this case for all  
20 parties are formulating thoughts, coming up with ideas  
21 during the course of this hearing, and my concern with the  
22 breadth of the order is that it arguably prevents anybody  
23 from doing any work, whether it's just some minor math or  
24 something. So where do we draw the line in that regard?

25 MS. COTTINGHAM: The experts can talk about

**AR 055664**

1 their thoughts about the comments, about their  
2 evaluations, their concerns, their whatever evaluation  
3 they did, but they cannot say "as a result of this the  
4 Port has done that," if that was done after February 28th.  
5 So I'm not intending to limit their expert opinions, their  
6 analytical process, it's just what as an official action  
7 the Port or Ecology has done as it relates -- and their  
8 motion related to the low-flow plan, so as it relates to  
9 changes that have been made to the low-flow plan. We had  
10 to have a date by which everyone could prepare for this  
11 hearing and so that's why we set the February 28th  
12 deadline.

13 MR. KRAY: I think the words that caught my ear  
14 that I think helped guide me on this was the phrase  
15 "official action," and I guess to the extent an expert is  
16 -- regardless of the party it's from, doing some more  
17 analysis, working on some more math or doing some more  
18 research, the parties would be allowed to testify about  
19 that?

20 MS. COTTINGHAM: That is my understanding, but  
21 if they're going to recommend that the Port do X, I think  
22 the recommendation process would also be part of an  
23 official action, so I would like not to have that come  
24 forward.

25 MR. EGLICK: The cutoff in the prehearing order

**AR 055665**



1 for the report itself or plan itself was February 1st, and  
2 then we were given -- I think any report or plan we were  
3 supposed to have by February 1st, and then they had the  
4 period from the first to the 28th to take discovery on the  
5 new report or plan, and that's the way the order reads.

6 MS. COTTINGHAM: Mr. Whiting's comments are not  
7 an official plan or report.

8 MR. EGLICK: Right. And Mr. Whiting's comments,  
9 I think it's absolutely correct they come in, because it's  
10 not a plan or report, it's comments he made and that we  
11 became aware of during the discovery period.

12 What I am concerned about is the structure of the  
13 ruling would allow the respondents perhaps to say: Well,  
14 we didn't have an plan or report or disclose one or  
15 produce one by February 1, but what we're going to do is  
16 have our folks talk about what further thoughts they had  
17 after February 1, that weren't an official act but will be  
18 the same thing, and of course will be the same problem,  
19 how do we cross-examine, how do we take discovery on, it's  
20 not something that we had in front of us until very  
21 recently. So if I can have some indulgence here because  
22 Mr. Kray has asked for some, as well. What we would ask  
23 the Board to do is to say no plan or report -- well, the  
24 order says it's prohibited from relying at the hearing  
25 upon any plan or report prepared after February 1. And

**AR 055666**

1 that would include any unofficial planning or reporting  
2 that they later created that they later turned into a plan  
3 or report after February 1. So February 1 would be a  
4 bright line cutoff date and I think we end up in a lot  
5 clearer context. The only reason Kelley Whiting's  
6 testimony comes in at all is because we took his  
7 deposition and he happened to say: These were my  
8 concerns.

9 MS. COTTINGHAM: I'm not willing to change my  
10 ruling. The bright line for purposes here today is the  
11 28th of February.

12 MR. EGLICK: Okay. I appreciate that and I  
13 certainly respect the Board's decision on that. We would  
14 hope the Board though would not interpret it in such a way  
15 that we will end up -- and I don't want to make a  
16 prediction, but I'm concerned that we'll end up with a  
17 witness coming in and saying: Well, I knew Kelley Whiting  
18 had some concerns because we were hearing about them in  
19 January and February, so I did some work on it. And of  
20 course no one will be able to say that work turned into a  
21 new report page but they'll say "I did this work and here  
22 is how I responded to it" and all of that, and we're stuck  
23 in the same position as if it were a new plan or report,  
24 we don't have discovery on it and we won't have our  
25 experts ever having looked at it. In some ways it sets us

**AR 055667**

1 back in the same way as if we had not brought the motion,  
2 it almost makes it a harder target to put a finger on.  
3 Maybe what I should do is ask the Board to be sensitive to  
4 that as it comes up and interpret the ruling in light of  
5 that concern.

6 MR. REAVIS: Can I just make one comment?

7 We went through a whole discussion and motion a  
8 couple of days ago about Dr. Lucia. I think that's  
9 exactly what they're asking Dr. Lucia to do now is to  
10 evaluate the Riley report that he had before February 28th  
11 and come up with more opinions and show up again in this  
12 hearing to testify. So we're going to be in the same  
13 position Mr. Eglick is complaining about, about new  
14 opinions we haven't had a chance to do discovery on. So  
15 it seems to me that the proper ruling is one I think that  
16 you've described, that if we're going to say as a result  
17 of our thought processes we're going to submit something  
18 that is a part of the low-flow report, then we're not  
19 going to be able to testify about that. We ought to at  
20 least be able to testify about our analysis and  
21 Mr. Whiting's comments and any opinions that we believe  
22 relate to those comments, such as that they're major or  
23 minor or whatever.

24 MS. COTTINGHAM: I'm not going to allow any  
25 more arguing back and forth. I will be mindful of your

**AR 055668**

1 request to be mindful of that, and what I would want for  
2 you to do is to raise it and to show prejudice.

3 MR. EGLICK: Should we go ahead and provide you  
4 with a list of items that we would like to have excluded  
5 as a result of your ruling?

6 MS. COTTINGHAM: Let me tell you what I have in  
7 front of me. For Mr. Brascher's prefiled, paragraph 13,  
8 37 and 38, which of those is directly related to the  
9 ruling today.

10 The second one is Mr. Ellingson's direct prefiled,  
11 paragraph 18 and Exhibits C and D.

12 MR. EGLICK: I think those are the ones that we  
13 listed, so those were the core of it. Of course we don't  
14 know what testimony will come around.

15 MS. COTTINGHAM: But on the written stuff from a  
16 redaction point of view, do those paragraphs fit within  
17 the narrowness of my ruling is the question I have for  
18 you.

19 MR. EGLICK: Maybe we could have a little time,  
20 because the ruling I guess --

21 MS. COTTINGHAM: Maybe somebody who is not  
22 involved in the next witness could do that, from both  
23 sides, and let Mr. Lucas, who is in the back of the room,  
24 know those.

25 MR. EGLICK: Thank you.

**AR 055669**

1 MS. COTTINGHAM: And with that, we've finished  
2 up with Dr. Willing, I believe.

3 And your next witness.

4 MR. STOCK: At this point ACC will call  
5 Mr. Wingard to the stand.

6  
7 GREG WINGARD, having been first sworn or affirmed to tell  
8 the truth, the whole truth, and nothing but the truth,  
9 testified as follows:

10

11

EXAMINATION

12

BY MR. POULIN:

13

Q Mr. Wingard, I would like to have you look at Exhibits 360  
14 and 361.

15

MS. COTTINGHAM: Have you started the clock?

16

MR. POULIN: Yes, I have.

17

Q These are deposition exhibits.

18

A Yes.

19

Q Have you seen these documents before?

20

A I have.

21

Q Would you please describe what they are?

22

A They're analytical reports of samples taken on Monday and  
23 Thursday, site visits to SeaTac airport.

24

MS. COTTINGHAM: May I interrupt for a minute.

25

Can you do some basic introduction of your witness for the

**AR 055670**

1 record.

2 MR. POULIN: Yes, I can.

3 Q Mr. Wingard, you presubmitted prefiled direct testimony,  
4 did you not?

5 A I did.

6 Q And you have testified as a fact witness?

7 A Yes.

8 Q Could you briefly for the Board describe your background  
9 with SeaTac issues, generally?

10 A I started working on SeaTac Airport in 1994. The subject  
11 was the appeal of an NPDES permit. I subsequently have  
12 worked on many matters related to SeaTac Airport, reviewed  
13 their discharge monitoring reports from 1994 to date, I've  
14 done code sampling with Port staff of two SeaTac airport  
15 outfalls, I've done several site inspections at the  
16 airport, both historically and the most recent ones, and I  
17 have reviewed documents related to cleanup and  
18 construction, water, wastewater, engineering reports, and  
19 that about covers it.

20 Q And are you presently employed?

21 A Yes.

22 Q Could you describe your affiliation, I guess?

23 A Yes. I'm working as a consultant with the Airport  
24 Communities Coalition and I'm also working with the  
25 Regional Coalition on Airport Affairs.

**AR 055671**

1 Q Are you involved with an organization called the Waste  
2 Action Project?

3 A Yes, I am. I'm executive director.

4 Q And what is that organization?

5 A Waste Action Project is an environmental organization that  
6 does enforcement of environmental law and education  
7 related to primarily the Clean Water Act.

8 Q Thank you.

9 Now, back to Exhibits 360 and 361. Did you say these  
10 were lab analyses of samples taken, water samples taken  
11 during ACC's site visits to SeaTac?

12 A Yes.

13 Q Were you involved in that sampling effort?

14 A I was.

15 Q If you look at the second page of each of these exhibits,  
16 do you see a document called the chain of custody record?

17 A Yes.

18 Q Did you fill that out?

19 A Yes, I did.

20 Q Would you please briefly describe what that's for?

21 A Basically it's to document the collection and custody of  
22 samples from the point they're taken in the field to the  
23 point they're put in the hands of professionals at the  
24 laboratory who are going to analyze the samples.

25 Q Now you've stated you were involved in this sampling

**AR 055672**

1 effort. Would you please describe your involvement?

2 A Yes, I assisted in preparing labels for the samples and in  
3 storing them in the cooler for transport to the  
4 laboratory.

5 Q What were the samples taken in?

6 A The samples were taken in lab wear that was prepped and  
7 provided by the accredited lab, Analytical Resources.

8 Q Did the lab know what types of constituents you were  
9 sampling for?

10 A Yes, they had been provided a list of the parameters that  
11 we were interested in having them analyze, and they  
12 provided the appropriate glassware or labware for that.

13 Q Were you involved in the process of deciding what to  
14 sample for?

15 A Yes, I was.

16 Q And how did you come to pick these items identified on the  
17 chain of custody form?

18 A Well, given review of the discharge monitoring reports for  
19 the Port over the course of '94 to present and the annual  
20 stormwater reports and the receiving water report, it  
21 seemed that these were parameters of concern that would  
22 reveal useful information in determining how the Port was  
23 either meeting or not meeting water quality standards and  
24 how BMPs were performing for those outfalls.

25 Q How did you pick which outfalls to sample?

**AR 055673**



1 A Well the outfall which is SDS 1, the Olympic Tank Farm, I  
2 noted problems there before. SDS 3, because it's a large  
3 area of the airfield, so it's significant in that there's  
4 very little -- the majority of the contributing basin  
5 belongs to the Port, there's very little extraneous input  
6 and it's also a majority of the airfield area, so what's  
7 coming off there is typical of what's coming off of the  
8 industrial use of the airport.

9 MR. POULIN: At this time, Your Honor, I would  
10 like to offer these exhibits for the truth of the matter.  
11 They were previously admitted subject to hearsay  
12 exception.

13 MR. KRAY: No objection from Ecology.

14 MR. PEARCE: No objection.

15 MS. COTTINGHAM: So admitted.

16 Q (By Mr. Poulin) Could you please briefly orient the Board  
17 in these documents to show where the sample results were  
18 found?

19 A Sample results start on the -- after we turn past the  
20 chain of custody, you'll see a variety of data pages that  
21 discuss the sample results, you'll also see lab matrix and  
22 blank results and matrix spike results which are quality  
23 assurance/quality control measures that the lab takes to  
24 assure that the samples are accurately reporting the  
25 contents of the sample from the field and you aren't

**AR 055674**

1 getting extraneous results from either lab contaminants or  
2 procedures that are improperly applied.

3 Q And so do you see a page that actually identifies what the  
4 lab found, the results of the sample taken at SeaTac?

5 A Yes, there's two pages referred to as glycol sample 001,  
6 and then there's a 001 matrix spike, and a spike  
7 duplicate. So the first page is the sample results, and  
8 the following two pages are quality assurance information,  
9 as is the following page.

10 MS. COTTINGHAM: Can you explain to the Board  
11 how you know that? How do you distinguish the between the  
12 pages?

13 THE WITNESS: Sure. If you look up in the  
14 right-hand corner where the logo for the company is,  
15 you'll see a sample number identification, which is sample  
16 001, and then you go down and it will give the lab sample  
17 ID number, and at the bottom it'll indicate a column of  
18 three items on the left-hand side. It says lab sample ID,  
19 column ID, and matrix. Under matrix, it says water. And  
20 then it says propylene glycol, 13 milligrams per liter, in  
21 the data section. So that's sample results.

22 Q (By Mr. Poulin) And is what you're describing the fourth  
23 page of the exhibit, Exhibit 360?

24 A That's correct.

25 Q Then if you turn to page --

**AR 055675**

1 A The fifth page?

2 Q I'm looking past that, I would like to show the Board a  
3 metals sample.

4 A Well, I just wanted to mention for clarification, if you  
5 turn to the following page where it says sample number  
6 001, it says matrix spike, and that's what indicates that  
7 it's a lab sample, a lab quality assurance sample rather  
8 than a field sample result.

9 Q And then the following page, which is still talking about  
10 sample 001 there, that says spike duplicate?

11 A Yes.

12 Q Is that another element of the quality assurance/quality  
13 control process?

14 A Yes. It basically qualifies that the lab failed to  
15 replicate the result in that it assures that the equipment  
16 is functioning correctly and the personnel have done their  
17 job right.

18 Q Okay. And if we turn all of the way back to what would be  
19 page 10, you'll see in the top center, in bold, it says:  
20 Sample number: 004?

21 A Yes.

22 Q Are those the actual lab reported results of the metals  
23 analysis for calcium, copper, magnesium and zinc?

24 A Yes.

25 Q And it also reports the hardness?

**AR 055676**

1 A No -- oh, yes, it does, at the bottom.

2 Q Okay. Now, briefly, have you been involved in sampling  
3 efforts before?

4 A Yes.

5 Q Have you been trained in the proper methods of taking a  
6 sample?

7 A Yes.

8 Q Have you taken samples pursuant to a written sampling  
9 protocol?

10 A I have.

11 Q In this instance, did you adhere to your experience in  
12 taking samples?

13 A With minor exception.

14 Q Please explain?

15 A I didn't have gloves at the time I sampled, which I would  
16 have preferred to have had.

17 Q And have you reviewed that in any way of what went into  
18 the bottle?

19 MR. PEARCE: Mr. Poulin has represented this  
20 witness as a fact witness. We weren't sure whether he  
21 would be a fact witness or if he would try to qualify him  
22 as an expert, he is being asked to provide an expert  
23 opinion about whether using gloves or not using gloves  
24 makes any difference in a fairly complex scientific  
25 sampling procedure. I don't think he can qualify it, he

**AR 055677**

1 is not presented as an expert witness.

2 MR. POULIN: What I meant to ask is whether the  
3 water sample that poured into the bottle had any  
4 opportunity to come into contact with his gloveless hand  
5 before it did so.

6 MS. COTTINGHAM: With that restatement of the  
7 question, I'll allow it.

8 A No. The sample container mouth was placed upstream of  
9 where my hand was, meaning the flow of water was coming  
10 into contact with the top of the bottle before coming into  
11 contact with my hand, there wasn't an opportunity for the  
12 water to go upstream and get back into the bottle.

13 Q I would like to turn to a separate aspect of your prefiled  
14 statement in which you discuss various examples identified  
15 as construction site stormwater monitoring reports. And  
16 those include Exhibit 7, Deposition Exhibit 7.

17 A I don't believe I have that in front of me.

18 MS. COTTINGHAM: They're not numbered for us,  
19 they're alphabetized.

20 MR. KRAY: Is that the prefiled exhibit or the  
21 deposition exhibit?

22 MR. POULIN: The exhibits are included with his  
23 prefiled as Exhibit B, as I recall, the same exhibit is  
24 also his Deposition Exhibit 7. Pardon the confusion, if  
25 any.

**AR 055678**

1 A Yes?

2 Q And my question is, could you please briefly explain what  
3 this document is?

4 A The document is a report of sample results from one of the  
5 construction sites at the SeaTac airport, one of the third  
6 runway related construction sites.

7 Q Were you involved in obtaining this report for the ACC?

8 A Yes, I was.

9 Q How did that come to happen?

10 A The Department of Ecology had done a major modification to  
11 the NPDES permit for SeaTac International Airport, and I  
12 commented on that particular proceeding; subsequent to  
13 that, Ecology prepared a responsiveness summary and that  
14 responsiveness summary referred to construction site  
15 monitoring and also upstream/downstream monitoring of each  
16 phase of construction related to the third runway at the  
17 airport. With that specific information, I requested all  
18 related documents from Department of Ecology in June and  
19 asked again in August under the public disclosure laws.  
20 That information was not provided to me over some period  
21 of time up through October, where I involved the Attorney  
22 General's Office, then got a call from John Drabek at  
23 Department of Ecology informing that the reason that  
24 Ecology could not supply the documents was because they  
25 didn't have them and that I had to contact Tom Hubbard at

**AR 055679**

1 the Port of Seattle in order to get these documents, which  
2 is what I did.

3 Q Now, in response to your prefiled testimony, Ecology's  
4 Kevin Fitzpatrick addressed you by name in his prefiled  
5 testimony, have you reviewed his statement?

6 A Yes, I have.

7 Q Could you please provide a response, if you would.

8 MR. KRAY: Objection. Vague.

9 MS. COTTINGHAM: Sustained.

10 Q (By Mr. Poulin) What's your understanding of  
11 Mr. Fitzpatrick's response to your suggestion that these  
12 reports show turbidity violations at SeaTac?

13 A Well, Mr. Fitzpatrick has stated in his prefiled testimony  
14 that these sample results are not indicative of impacts to  
15 waters of the state, they're simply upstream/downstream of  
16 BMPs or structures within the overall stormwater system at  
17 SeaTac airport. I don't believe that's an accurate  
18 assessment, as some of these sites directly refer to  
19 waters of the state, such as Tye Ponds, for example.  
20 Also there's comments, and in the comments that are  
21 associated with these, there will at times be an item in  
22 the comment box which says more than five NTU above  
23 background or above the upstream concentration notified,  
24 and then somebody's initials who they notified. The  
25 significance of the five NTU above is the state water

**AR 055680**

1 quality standards which are found in the WAC 173-201A-040,  
2 and that when they refer to five NTU above they are  
3 referring to the water quality standards, which wouldn't  
4 be of any significance if you're only looking at the  
5 performance of a BMP, it's only of significance if you're  
6 looking at the potential impact of the water quality, i.e.  
7 the receiving water.

8 MR. KRAY: Objection. Lack of foundation for  
9 him to testify as an expert. Move to strike the entire  
10 answer to the question.

11 MS. COTTINGHAM: Do you have a response to that,  
12 Mr. Poulin?

13 MR. POULIN: I believe that much of his  
14 testimony is based on the factual content of these  
15 exhibits and his understanding of what they mean. I don't  
16 believe that requires an expert opinion. Certainly a  
17 percipient witness can have an opinion about what  
18 particular facts mean, and I'm sure Mr. Wingard could  
19 explain the basis for his statements from the exhibit.

20 MS. COTTINGHAM: Why don't you lay a foundation  
21 for him to do that.

22 MR. POULIN: Sure.

23 Q If you will look briefly at Exhibit 7?

24 A Yes.

25 Q In the first column, there's a rather -- yes, in the first

**AR 055681**



1 column you'll see under the logistics site development  
2 there's two rows that mention Tyee Pond, one says US, one  
3 says DS?

4 A Yes.

5 Q Have you seen that terminology or usage in monitoring  
6 reports before?

7 A In regard to these monitoring reports, yes.

8 Q What does that mean?

9 A Upstream/downstream.

10 Q What does this report indicate downstream discharge is?

11 A The outfall of Tyee Pond to Des Moines Creek.

12 Q And Des Moines Creek is not part of SeaTac's stormwater  
13 facility is it?

14 A No, it's a water of the state.

15 Q And if you turn to the second page of that exhibit?

16 A Yes.

17 Q And the lower-right corner of the table?

18 A Yes.

19 Q Does that indicate the notation that you were referring to  
20 downstream/upstream? Please explain.

21 A It says downstream/upstream greater than five NTU, notify  
22 KL and DJ.

23 MR. POULIN: No further questions.

24 MS. COTTINGHAM: Ecology or the Port, cross.

25 MR. STOCK: I do not have any.

**AR 055682**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MS. COTTINGHAM: Ecology?

MR. PEARCE: Yes, I guess I'll go first.

EXAMINATION

BY MR. PEARCE:

Q Good afternoon, Mr. Wingard. My name is Roger Pearce, I'm one of the attorneys for the Port of Seattle.

Tell me briefly about these turbidity reports. You didn't take these samples, did you?

A No.

Q Do you know who took them?

A No, I don't.

Q Do you know whether they were taken with a field turbidimeter or collected in a bottle and given to a lab?

A I am not aware of that, no.

Q Are you aware of what it takes to calibrate a field turbidimeter and how likely it is to be off slightly?

A Yes.

Q How likely is it, what's the range of fluctuation of field turbidity, if you know?

A It's not possible to answer your question.

(Pause in proceedings).

MS. COTTINGHAM: We are going back on the record.

Is the clock timing for the right party? For whom

**AR 055683**

1 the bell tolls.

2 MR. POULIN: We are back on.

3 Q (By Mr. Pearce) The turbidimeter is accurate to one tenth  
4 of an MTU, or do you know?

5 A NTU?

6 Q Thanks for the correction. One tenth of an NTU or not?

7 A It's really not possible to answer your question. You're  
8 asking me to speculate about a large number of instruments  
9 that would have varying sensitivities under conditions  
10 that I was not present to witness.

11 Q Okay. Let's look at the Exhibit 7, the first page of it.

12 Tye Pond is an instream stormwater facility, isn't  
13 it? If you know.

14 A Yes, I would describe it as that, and potentially also  
15 it's a water of the state.

16 Q How about the air traffic control tower on the next page.  
17 Do you know where that's located?

18 A Air traffic control tower?

19 Q I'm sorry, do you know where the sampling locations are  
20 located?

21 A SDE 4 is a designation for the east side of the airport,  
22 that would be a discharge to Des Moines Creek.

23 Q So your testimony is that the site discharge is to  
24 Des Moines Creek. Do you know where these turbidity  
25 readings were taken?

**AR 055684**

1 A I don't have the map in front of me which provides the  
2 sample locations which these numbers are coded to. The  
3 numbers refer to manhole designations for the stormwater  
4 system for SeaTac airport, and those are designated on a  
5 map and I don't have that map in front of me.

6 Q For everyone else's and my edification, those numbers  
7 are -- is that SDE 4-948 on the next to the bottom line  
8 there, and SDE 4-958?

9 A Yes. That would be a storm drain on east side. Four is  
10 the basin number and 948 would be the sample location.

11 Q So those are manhole covers somewhere and you're not  
12 certain where they are?

13 A That wasn't my testimony. My testimony was they're on the  
14 east side of the airport.

15 Q Are they manholes? I thought you said they were manholes.

16 A They're usually manhole structures that are labeled, they  
17 are numbered.

18 Q Okay. Any idea how far from a stream these are?

19 A These specific numbered ones?

20 Q Yes.

21 A Not exactly. There's quite a few linear feet of piping at  
22 the airport.

23 Q You also testified I think about STEP north. Does that  
24 mean south terminal expansion area north?

25 A That sounds correct.

**AR 055685**

1 Q Is that another temporary construction testing point?

2 A It's a construction sampling location, I believe so, yes.

3 Q Do you know where the turbidity sampling points were for  
4 that temporary construction sampling?

5 A Which page of the exhibit are you referring?

6 Q You had a chart in your testimony, I'm just -- STEP north  
7 ductbank is the very next page of Exhibit 7. Its location  
8 is SDE 4-059 and SDE 4-064. Do you know where those are?

9 A I have seen a replacement on my exhibit.

10 Q Part of these don't have --

11 MR. POULIN: Is this the third page of  
12 Exhibit 7?

13 A It's the third page of Exhibit 7.

14 Q The middle entry there.

15 A Thank you.

16 Q I just wondered if you knew where those sampling  
17 designation points were, 4-059 and 4-064?

18 A Without the map that shows the coding for the sampling  
19 locations, it's not really possible to point out to you.

20 Q So you don't know whether they're instream or not?

21 A I don't -- what are you asking me?

22 Q You don't know whether they're in a stream or not?

23 A In a stream. I would assume that they're not, but I don't  
24 know.

25 Q And you I think testified about --

**AR 055686**

1 A I'll correct that. It says: Outfall of culvert under  
2 sidewalk on west of entry drive. Outfall would suggest  
3 that it's a daylighted water and not a piped water at that  
4 point.

5 Q Does the site discharge relate to the sampling point in  
6 your understanding, or is that different?

7 A Site discharge is different, because if you take a look at  
8 the SDE 4 number designation for location, it's different  
9 from the upstream/downstream numbers that are explained  
10 underneath that entry.

11 Q How about the next entry down, the south terminal  
12 expansion project, also known as STEP, S-T-E-P, is it not?

13 A Yes, it is.

14 Q And the same question for those testing locations, it's  
15 the same upstream location, isn't it, SDE 4-059?

16 A Yes.

17 Q And downstream location is SDE 4-074?

18 A Correct.

19 Q And do you know where those are located?

20 A I think I've already testified to the fact that I would  
21 need the map that has the coding for those designations.  
22 Generally where it would be is within the SDE-4 basin.

23 Q You talked a little about the samples from the site visit  
24 in your testimony here today. Are those readings averaged  
25 over an hour or are they instantaneous readings?

**AR 055687**

1 A They're instantaneous, they're grab samples.

2 Q Thank you. And they were taken at those two outfalls and  
3 not instream, correct?

4 A They were taken -- which samples are you referring to?

5 Q I thought you had testified they were taken at two  
6 different outfalls, SDS 3 and SDS 1, is that correct?

7 A That's correct.

8 Q Okay. But that's not instream?

9 A That's not correct.

10 Q Where did you dip into the stream to get the SDS 1  
11 outfall?

12 A The SDS 1 outfall is located on the east branch of Des  
13 Moines Creek and samples were taken both instream and at  
14 the point of discharge at the outfall.

15 Q You provided some testimony about Black River Quarry  
16 soils. Are you aware of any quantitative analysis showing  
17 whether any of the constituents in those Black River  
18 Quarry soils would mobilize in groundwater in an amount  
19 that would violate Washington State water quality  
20 standards?

21 A I'm not sure what you're asking me. My testimony was a  
22 concern that the soil itself, given the results that I saw  
23 here, would have the opportunity to mobilize in the  
24 totality into waters of the state, and, yes, that would  
25 violate water quality standards.

**AR 055688**

1 Q So your concern is that the soil itself would get washed  
2 into a stream somehow?

3 A From the results of monitoring of construction that I've  
4 seen from the Port, from 1998 to October of 2001, it shows  
5 the BMPs have been ineffective in controlling turbidity in  
6 a way to meet the water quality standards of the State of  
7 Washington.

8 MR. PEARCE: I move to strike, Your Honor, as  
9 nonresponsive.

10 MR. POULIN: I think that's directly responsive,  
11 Your Honor. He is asking about the likelihood that metals  
12 will result in the water.

13 MR. PEARCE: He is also offering an expert  
14 opinion.

15 MS. COTTINGHAM: I'm going to sustain the  
16 objection to strike.

17 Q (By Mr. Pearce) I guess what I'm asking, Mr. Wingard --  
18 well, let me ask first, do you know where these soils are  
19 placed at the airport, if any soils have been taken from  
20 the airport?

21 A No, I've asked that question and no one seems to be able  
22 to answer it.

23 Q So you don't know where they were placed as you sit here  
24 today?

25 A I know generally where they're placed, there are a couple

**AR 055689**



1 of soil stockpile areas.

2 Q Are you aware of any analysis showing whether these soils,  
3 even if they were carried into the streams, would result  
4 in a violation of water quality standards, any sort of  
5 quantitative analysis?

6 A The quantitative analysis is right here, these are  
7 construction projects of the same sort as the earth moving  
8 that you're talking about with the material placed in the  
9 embankment. The BMPs are the same kind of BMPs that are  
10 in place for these construction projects.

11 Q Let me rephrase the question. Are you aware of any back  
12 calculations that would indicate how much if any of the  
13 constituents in these soils would leach out into the  
14 water, come into contact with water?

15 A I'm not aware of what you're asking in terms of back  
16 calculations, back calculations of what specifically?

17 Q Of the constituents in the soil, as to how much of them  
18 would leach out into water?

19 A Such as the copper?

20 Q Well, whatever constituents are there of concern. Let's  
21 take copper.

22 A That would be a little difficult to tell without taking a  
23 sample. That's why you do water quality sampling.

24 MR. PEARCE: That's all I have. Thanks.

25 MS. COTTINGHAM: Mr. Kray. Any questions?

**AR 055690**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. KRAY: I do.

EXAMINATION

BY MR. KRAY:

Q Good afternoon, Mr. Wingard.

A Good afternoon.

MR. KRAY: I would like to begin by drawing the Board's attention to Mr. Wingard's prefiled testimony at page three, paragraph 6, the second full sentence. The sentence reads: The construction stormwater monitoring report shows repeated violations of the Washington State water quality criteria for turbidity as found in WAC 173-201A-030. I move to strike that as a legal conclusion.

MR. POULIN: I object, Your Honor. I believe it's a matter of similar arithmetic. The turbidity criteria is the number five, five NTU. Any person can subtract the downstream number from the upstream number and determine whether it exceeds that criteria.

MS. COTTINGHAM: I'm going to allow that to stay in here, but the Board will give it due weight.

MR. KRAY: I have a similar objection with a substantial portion, and I'll just for the record note the portions that I'm making objection to and I'll either address them -- well, just for purposes of moving along,

**AR 055691**

1 lines 24 through 27.

2 MS. COTTINGHAM: What page are you on?

3 MR. KRAY: Of the same page, the next sentence,  
4 it's says: Turbidity is violated. The term "violated"  
5 this water quality standard shows up on the first word on  
6 page four.

7 "Violation" shows up again in line three.

8 Line 8: Exhibits show the following violations of  
9 water quality criteria for turbidity.

10 Line 10: Examples of violations of water quality.

11 Line 27: Apparent violation of the permit.

12 MR. POULIN: Your Honor, I'm quite surprised to  
13 hear these motions to strike. Respondents have had this  
14 prefiled statement for a month, if I'm not mistaken.

15 MS. COTTINGHAM: And the Board overruled his  
16 objections. He is just noting it for the record.

17 MR. KRAY: I'm on my time, Your Honor.

18 MR. PEARCE: I don't mean to interrupt, but we  
19 just now found out he was a fact witness and not trying to  
20 be qualified as an expert.

21 MR. POULIN: We filed a witness list that did  
22 not include Mr. Wingard as an expert.

23 MR. KRAY: I'll be as quick as possible, given  
24 it's my clock.

25 Page five, line 3.

**AR 055692**

1           Line 6: Violations.

2           Line 11 and 12, actually 11 through 19, are all one  
3 continuing legal conclusion.

4           And I believe that's all, Your Honor.

5   Q   You are an environmental consultant, correct?

6   A   Yes.

7   Q   In your capacity as a consultant, do you advise groups  
8 interested in environmental issues? Is that correct?  
9 Very broad terms?

10   A   Yes, among other things, yes.

11   Q   I note your resume` says under the heading "environmental  
12 expertise," project management, negotiation,  
13 pre-litigation and litigation support. And it goes on. I  
14 was just trying to capture that as you advise groups in  
15 environmental issues, right?

16   A   Groups and individuals.

17   Q   Your consultation work includes participating in suits  
18 under environmental laws?

19   A   Yes. That would be fair.

20   Q   In fact your resume` says you've directed over 30 cases  
21 brought under federal environmental laws?

22   A   Yes.

23   Q   Are you aware of laws allowing private citizens to file  
24 lawsuits against parties alleging violations of NPDES  
25 permits?

**AR 055693**

1 A Yes.

2 Q Have you or any groups you've represented participated in  
3 lawsuits alleging violations of NPDES permits?

4 A Yes.

5 Q Have you or any groups you've represented initiated a  
6 citizens suit regarding the assertions in your prefiled  
7 testimony about the Port's NPDES permit?

8 MR. POULIN: Your Honor, I would like to object  
9 to this as being beyond both the scope of the direct  
10 examination today and to Mr. Wingard's prefiled testimony.

11 MR. KRAY: If I may respond, Your Honor.

12 Mr. Wingard's prefiled testimony, as I just  
13 illustrated, has numerous allegations of violations of  
14 law. I'm merely trying to find out whether he has carried  
15 those to the next step and initiated a citizens suit.

16 MS. COTTINGHAM: I'll overrule the objection.

17 Q (By Mr. Kray) Do you recall the question?

18 A If you could restate it, that would be good.

19 Q Have you or any groups you've represented initiated a  
20 citizens suit regarding the assertions in your prefiled  
21 testimony about the Port's NPDES permit.

22 A If you'll give me a quick moment, I'll take a look.

23 Yes.

24 Q When was that suit filed?

25 A 1995, I believe.

**AR 055694**

1 Q Is that suit still active?

2 A No. That suit was settled.

3 Q Did that suit pertain to the Port's current NPDES permit?

4 A It would have pertained to the permit in force at the time  
5 the suit was filed.

6 Q So there are currently no suits by you or any group you  
7 represent on the basis of the violations you allege in  
8 your prefiled testimony, correct?

9 A No. Well -- yes.

10 Q With the exception of why we are here today, right?

11 MR. POULIN: Objection. Confusing.

12 MR. KRAY: Let me rephrase.

13 Q With the exception of the present action that we're here  
14 on today, there are no suits involving groups that you  
15 represent challenging alleged violations of the Port's  
16 NPDES permit, is that correct?

17 A Yes, that's correct.

18 MR. KRAY: No further questions, Your Honor.

19 MS. COTTINGHAM: Any redirect?

20 MR. POULIN: Yes.

21

22

23

24

25

**AR 055695**

EXAMINATION

1  
2 BY MR. POULIN:

3 Q Mr. Wingard, was it your testimony that the violations you  
4 described are violations of the Port's NPDES permit?

5 A The violations I describe where?

6 Q In your prefiled testimony.

7 A Some of them are.

8 Q In your line of work, do you draw a distinction -- well,  
9 let me bring your attention to the sentence that offended  
10 Mr. Kray.

11 MR. KRAY: Objection. Mischaracterizes.

12 Q (By Mr. Poulin) The sentence to which Mr. Kray objected,  
13 page three, paragraph six, where you state: The  
14 construction monitoring reports show repeated violations  
15 of the Washington State water quality criteria for  
16 turbidity?

17 A Yes, I do.

18 Q Are you familiar with the Port's NPDES permit?

19 A Yes.

20 Q Does the Port's NPDES permit incorporate these criteria as  
21 an effluent limit for construction stormwater discharges?

22 A Yes. What are you referring to as these criteria?

23 Q I'm sorry, the criteria for turbidity as found in WAC  
24 173-201A-030?

25 A It's my understanding that turbidity, the standards for

**AR 055696**

1 turbidity, all of the standards would be incorporated into  
2 the permit.

3 MR. POULIN: Okay. I have no further questions.

4 MR. STOCK: I have none.

5 MS. COTTINGHAM: Any Board questions?

6 You're excused.

7 We'll take a break, mostly for the court reporter and  
8 for me. Let's make it a ten minutes break, so let's be  
9 back at 25 after.

10 (Recess).

11 MS. COTTINGHAM: We'll go back on the record.

12 MR. STOCK: ACC calls Dr. Kavazanjian.

13

14 ED KAVAZANJIAN, having been first duly sworn to tell the  
15 truth, the whole truth, and nothing but the truth,  
16 testified as follows:

17

18 EXAMINATION

19 BY MR. STOCK:

20 Q Dr. Kavazanjian, there's a glass of water there.

21 Could you please introduce yourself to the Board?

22 A Sure. My name is Ed Kavazanjian. I'm a principal with  
23 GeoSyntec Consultants in the Huntington Beach, California  
24 office. I'm a registered professional engineer, civil  
25 engineer in the state of Washington, among other states,

**AR 055697**



1 specializing in geotechnical engineering.

2 I have a bachelors degree in civil engineering and a  
3 masters degree in geotechnical engineering from MIT,  
4 Massachusetts Institute of Technology. I have a PhD from  
5 University of California at Berkley. I served on the  
6 faculty at Stanford University teaching civil engineering,  
7 primarily geotechnical and earthquake engineering for  
8 seven years. For the last 17 years, I have been a  
9 practicing engineer. I'm the lead author of the federal  
10 highways guidance document on geotechnical earthquake  
11 engineering for highways, and am lead instructor in the  
12 National Highway Institute's training course on  
13 geotechnical earthquake engineering. And I've designed  
14 and analyzed mechanically stabilized earth walls up to 40  
15 feet high.

16 MS. COTTINGHAM: Could you spell your last name  
17 for the court reporter.

18 THE WITNESS: Sure. K-a-v-a-z-a-n-j-i-a-n.

19 Q (By Mr. Stock) And do you currently hold a position with  
20 respect to Los Angeles' review of earthquake standards?

21 A Yes, I'm currently chairman of the task force formed by  
22 the Los Angeles section, American Society of Civil  
23 Engineers Geotechnical Group, to develop guidelines on  
24 mechanical stabilized earth walls and slopes for seven  
25 jurisdictions within southern California, six county

**AR 055698**

1 building departments and the City of Los Angeles  
2 Department of Building and Safety.

3 Q Can you tell us what those seven building jurisdictions  
4 are?

5 A The counties are San Diego, Riverside, San Bernardino,  
6 Orange, Los Angeles, and Ventura, and then the City of Los  
7 Angeles.

8 Q You have prefiled testimony this in case, and what I want  
9 to do is to spend the next twenty minutes/half hour with  
10 you and highlight for the Board various parts of your  
11 prefiled testimony.

12 Just to get started, can you summarize for us the  
13 three main points that you've made in your prefiled  
14 testimony?

15 A The three main points in my prefiled testimony were --  
16 first of all, the design is still evolving, it's not  
17 complete, there are continuing changes in the design, and  
18 that includes the method of construction of the wall, that  
19 have resulted in additional undocumented impacts. Until  
20 the design is complete and until it's been peer reviewed,  
21 we can't possibly know what all of the impacts are of wall  
22 construction. The seismic design basis for the wall is  
23 inadequate, it's based on a flawed analogy with the  
24 Uniform Building Code and on an outdated AASHTO, American  
25 Association of State Highway and Transportation

**AR 055699**

1 Organization's code, and doesn't properly account for the  
2 extended service life or the environmental impacts of a  
3 wall failure. And numerical analyses used to evaluate the  
4 performance of a wall in an earthquake are unreliable,  
5 they're not verified, there's been no verification  
6 analysis done of the numerical analysis, and they rely to  
7 a large extent on flawed analogy with a very good seismic  
8 performance of walls that approach at most one third the  
9 height of this wall, so those analogies are not  
10 appropriate.

11 Q Let's get into some specific areas. And I first want to  
12 focus on the height of the wall. On page three of your  
13 prefiled testimony, you've set out the -- page three of  
14 your testimony, you've set out the height of the wall as  
15 135-feet high and topped by a 20-foot high sloped  
16 embankment and running for approximately 1500 feet.

17 Can you explain what you mean, topped by a 20-foot  
18 high sloped embankment?

19 A Certainly. And I think it's 137 feet. But the wall goes  
20 up a certain height vertically and the maximum is 135, 137  
21 feet; but then the soil behind the wall continues to rise  
22 to a greater height at a slope of two-to-one, two  
23 horizontal to one vertical, another 20 feet.

24 Q Just to give us a visual impact of the height of that wall  
25 and the 20-foot embankment on top of it, how many story

**AR 055700**

1 building would that equate to?

2 A Approximately a 15-story building.

3 Q How does the height of the wall that the Port is proposing  
4 to build at SeaTac compare to the height of  
5 MSE walls which have experienced seismic shaking?

6 A It's approximately three times the tallest wall for which  
7 we have any experience, for which we have any  
8 documentation.

9 Q Now in your prefiled testimony and just a few minutes ago  
10 you referred to an acronym, AASHTO. Can you define for us  
11 what that is, what does it stand for and what is it?

12 A Certainly. The American Association of State Highway and  
13 Transportation Organization is a consortium of all of the  
14 various state highway departments in the United States  
15 that work together to create a code for construction of  
16 transportation projects.

17 Q And how does this wall that's being proposed compare to  
18 the height of MSE walls on which the AASHTO code is based?

19 A The typical walls that are designed according to AASHTO  
20 code are on the order of 20 to 30 feet high, 45 feet is  
21 probably the maximum height.

22 Q Is the AASHTO code an appropriate standard for this  
23 proposed wall?

24 A Not for a wall of this unprecedented height in a seismic  
25 zone.

**AR 055701**

1 Q Why not?

2 A When you increase the height of the wall, various aspects  
3 of the performance will change, the seismic response will  
4 change, the load that the soil puts on the facing of the  
5 wall and the strips used to reinforce the wall will  
6 change, and basically we just don't have any experience of  
7 how walls this high will perform in an earthquake.

8 Q When you say "we don't have any experience," are you the  
9 only one of this opinion or are there others with the same  
10 type of opinion?

11 A No, the Federal Highway Administration shares this  
12 opinion. I know of a recent project in Pennsylvania where  
13 there was a proposed 80-foot high wall designed by the  
14 Reinforced Earth Company and it was a proposed design  
15 according to the AASHTO code and the in-house RECO  
16 criteria, and the Federal Highway informed them that was  
17 not adequate, that special studies would be needed for a  
18 wall of that height.

19 Q Okay. I want to slow you down, Dr. Kavazanjian, because  
20 you made reference to Reinforced Earth Company and RECO.  
21 Why is that important here, who is RECO, Reinforced Earth  
22 Company?

23 A The designer of the wall for the third runway project is  
24 the Reinforced Earth Company, the acronym is RECO,  
25 R-E-C-O, same thing.

**AR 055702**

1 Q And this 80-foot wall that was being proposed, where is  
2 that?

3 A In Pennsylvania, in a non-seismic area.

4 Q And who rejected the RECO design criteria for the 80-foot  
5 wall?

6 A The Federal Highways regional geotechnical engineer.

7 Q And is Pennsylvania subject to earthquake?

8 MR. KRAY: Objection. Asked and answered.

9 MS. COTTINGHAM: Sustained.

10 Q Let's talk about FLAC. You refer to FLAC in your prefiled  
11 testimony. What is FLAC, what does that stand for and  
12 what is it?

13 A FLAC stands for Fast Lagrangian Analysis - I'm not sure  
14 what the C is for - Computer Program.

15 Q What is it?

16 A It's a computer program for calculating the response of  
17 earth structures to seismic loads.

18 Q And did the Port consultants use FLAC here to consider or  
19 assess the wall's performance under earthquake conditions?

20 A Yes, they did.

21 Q And is FLAC an appropriate tool for seismic analysis of  
22 this proposed wall?

23 A It may be, but not in the manner it has been used to date.

24 Q Why do you say that?

25 A Well, a numerical program like FLAC has many features and

**AR 055703**

1           there are many ways, many different features you can use  
2           to model any particular problem.  When you create a FLAC  
3           model of any particular problem and select a certain group  
4           of features to model that program, it's important that you  
5           verify the program by using those features to predict the  
6           performance of similar structures under similar loads.  
7           That way you know that you're getting reliable results,  
8           you can then use that to predict the performance of your  
9           structure.

10        Q    Are you talking about benchmarking?

11        A    Benchmarking or calibrating.  The term was used earlier  
12            today with respect to the low-flow calibration  
13            verification analysis.

14        Q    Has this calibration or benchmarking been done here?

15        A    Not for mechanical stabilization of earth walls.

16        Q    Are you familiar with the references that the Port has put  
17            forth that says that the FLAC for this purpose has been  
18            calibrated or benchmarked?

19        A    Yes, I've reviewed those references.

20        Q    And what conclusions do you draw from your review of the  
21            references that the Port is relying upon?

22                        MR. REAVIS:  I would object.  The question is  
23                        vague as to -- I'm not sure what reference he is talking  
24                        about.

25                        MS. COTTINGHAM:  Sustained.

**AR 055704**

1 Q Dr. Kavazanjian, you said you were familiar with the  
2 references that the Port is relying upon to make the  
3 statement that FLAC has been benchmarked here. Can you  
4 tell the Board and Mr. Reavis what you're referring to?

5 A Yes. Can I look at my documents?

6 Q Yes, you're free to look.

7 A I think there may be a reference list in the back of the  
8 testimony. I have some of them with me.

9 In one of the responses to GeoSyntec's comments about  
10 the lack of verification of FLAC, the Port cited a number  
11 of technical papers on FLAC. These included a paper on  
12 "Upper San Fernando Dam 1971 Revisited" by Roth and Davis,  
13 a paper by Emil Roth and Makdisi on "Nonlinear Dynamic  
14 Effect of Stress Analysis, Two Case Histories," and a  
15 paper by Bathurst and Hatami on "Seismic Response Analysis  
16 of the Geosynthetic Reinforced Soil Retaining Wall".  
17 There may have been one or two other papers cited.

18 Q And you've reviewed these papers?

19 A Yes, I have.

20 Q And based upon that review, what conclusion did you draw  
21 with respect to whether these were appropriate references  
22 for demonstrating that FLAC had been benchmarked for this  
23 wall?

24 A The only papers that address benchmarking for FLAC were  
25 for unreinforced earthen embankments, like the Lower San

**AR 055705**



1 Fernando Dam, which was an earth dam that failed in the  
2 1971 San Fernando Earthquake. The only paper on  
3 reinforced earth walls, the Bathurst and Hatami paper was  
4 a paper study, there was no actual data; in fact, those  
5 authors in their paper cautioned that the results of the  
6 studies needed to be verified by model tests or actual  
7 field data on mechanically stabilized earth walls.

8 Q Explain for us why that makes a difference here. And I  
9 guess I should ask a preliminary question, please.

10 What sort of reinforcement is the Port proposing to  
11 rely upon here for the wall?

12 A There's several different materials that can be used to  
13 reinforce earth, there are fabric sheets, plastic grids,  
14 in this case, the system that is being used, which was the  
15 first system that was developed, with metal strips. So  
16 metal strips are placed - I'm not sure how wide they are -  
17 6 inches, 12 inches wide, every several feet in a  
18 horizontal layer and then there's space, two to three feet  
19 vertically, as the wall is constructed. So the RECO  
20 system, the Reinforced Earth Company system, are metal  
21 strips and they are connected to a concrete facing.

22 Q And the papers that the Port has presented don't relate to  
23 or refer to the metal strip reinforcement?

24 MR. KRAY: Objection. Leading.

25 MR. STOCK: I'll rephrase it.

**AR 055706**

1 Q Do the papers that the Port relies upon --

2 A The Bathurst and Hatami paper evaluated I believe polymer  
3 grids as opposed to metal strips.

4 Q Okay. Let's talk about the design earthquake. In your  
5 prefiled testimony and in your deposition, you've referred  
6 to a 10-percent-in-50-year design earthquake. Can you  
7 explain what that concept is?

8 A Certainly. When you specify a design earthquake from the  
9 results of a seismic hazard analysis, it's typically  
10 specified as two-component criterion, a probability that  
11 the earthquake will be exceeded and in an exposure period  
12 over which that probability applies. So ten percent in 50  
13 years would mean there's a ten-percent chance that over a  
14 50-year exposure period the ground motions used in the  
15 design will be exceeded, there will be an earthquake  
16 stronger than that.

17 The exposure period is typically related to the  
18 period of interest with respect to the design. For a  
19 commercial building that might be the service life of the  
20 building; for environmental projects, it's typically the  
21 duration over which the facility has the potential to  
22 impact the environment. So, for example, Uniform Building  
23 Code for commercial buildings uses a 50-year exposure  
24 period, the federal standard for a solid waste landfill  
25 uses a 250-year exposure period. That's linked with the

**AR 055707**

1 probability -- or the ground motion then over that  
2 exposure period is tied to a probability and the  
3 probability level is tied to the performance criteria.  
4 Some structures, some facilities might have two  
5 probability levels, that 50-percent probability level for  
6 which the criterion is no damage at all, and then a much  
7 lower probability level, two percent, three percent, that  
8 the structure would not collapse or release contaminants  
9 that were harmful to human health or the environment over  
10 the exposure period.

11 Q The Port has used a 10-percent-in-50-year design  
12 earthquake here, is that right?

13 A That's correct.

14 Q And is the 10-percent-in-50-year earthquake an appropriate  
15 seismic design standard for this wall?

16 MR. KRAY: Objection. Leading.

17 MS. COTTINGHAM: Sustained.

18 Q (By Mr. Stock) What would be an appropriate seismic  
19 design standard for this wall?

20 A I don't think any one person or any one entity should  
21 decide what the appropriate period design standard is, I  
22 think that's a decision that should be made by all of the  
23 stakeholders involved in the project. But certainly a  
24 50-year exposure period is inappropriate for this  
25 structure.

**AR 055708**

1 Q Do you know of examples of alternative seismic design  
2 criteria for similar projects?

3 A Certainly. The standard that's been used on almost  
4 every -- to my knowledge, every federally funded  
5 transportation project in the last five years has been a  
6 75-year exposure period and a three percent probability --  
7 well, they have two probability levels, they have 50  
8 percent for no damage and then they have three percent for  
9 collapse of the structure. So they use three percent in  
10 75 years.

11 Q Do you agree with the Port's analysis for the ten percent  
12 in 50 years earthquake showing satisfactory performance  
13 for the wall?

14 A No, I don't.

15 Q What's the basis of your disagreement with that?

16 A Well, in their analysis of ten percent in 50 years, using  
17 FLAC - which for a minute I accept that as being a  
18 verified program, and I don't - and they calculate a  
19 permanent seismic displacement on the order of four feet  
20 at the top of the wall, and they conclude that that's  
21 satisfactory performance in the design earthquake. And  
22 I'm not convinced, let's put it that way, that that  
23 represents satisfactory performance. The typical standard  
24 used for earth structures is three feet, and that's for  
25 unreinforced structures, and it's not clear to me that

**AR 055709**

1 using -- well, three feet, four feet, you could argue  
2 that's the same number, it's not clear to me that's  
3 appropriate for a reinforced earth structure which would  
4 be much more susceptible to permanent deformations than an  
5 unreinforced earth mass.

6 Q What's the implications of this for the facing panels?

7 A The biggest concern would be that the facing panels would  
8 separate from the metal strips due to the loads at the  
9 connection. And if that happens, then the wall could  
10 loose its integrity; if that happened at the base of the  
11 wall, there could be a very catastrophic failure of the  
12 wall.

13 Q Let's switch gears here and talk about the first point you  
14 raised, and that is the change in the subgrade  
15 improvements. Has there been a change in the proposed  
16 subgrade improvements for the wall?

17 A Yes, based on the documents we've reviewed, sometime in  
18 the last year the decision to use stone columns to improve  
19 poor soils and create a suitable foundation was changed to  
20 excavating the material and replacing it with compacted  
21 fill.

22 Q Did the Port's consultants previously consider excavate  
23 and replace?

24 A Excavate and replace had been considered from the  
25 beginning as one of the options, but in their documented

**AR 055710**

1 wetlands impact assessment, they stated they would only  
2 use excavate and replace if the amount of material that  
3 had to be removed was several feet, and for deeper  
4 unsuitable deposits they would use stone columns. In  
5 response to our questions, they said they were using stone  
6 columns to mitigate the impact of the wetlands.

7 Q What is the impact of the change in the preferred method  
8 of subgrade improvements from stone columns to excavate  
9 and replace?

10 A The primary impacts will be associated with the dewatering  
11 of the excavation. To remove the unsuitable material,  
12 they have to 10, 20, perhaps up to 30 feet of material; to  
13 replace compacted fill, they have to dewater that  
14 excavation, so they have to lower the water table adjacent  
15 to the wetlands, and I've not seen any documentation of  
16 the impact of that dewatering on the wetlands.

17 Q Have the Port's consultants given an estimate of the  
18 volume of dewatering expected during the subgrade  
19 improvements?

20 A I've seen some unsubstantiated numbers that seems very low  
21 to me. I've seen documents that say that the total flow  
22 from the dewatering will be on the order of 20 to 80  
23 gallons per minute, and that seems very, very -- and I  
24 haven't see any analysis to back that up, and I think that  
25 grossly underestimates the amount of water that will have

**AR 055711**

1 to be pumped from the excavation.

2 For the west wall, my measurements indicate the  
3 excavation is about four acres in size. If you have a  
4 quarter of an inch of rain in an hour over the four acres,  
5 to keep that excavation dry, you will have to pump a  
6 thousand gallons per minute. So the 20 to 80 gpm number  
7 really doesn't make sense.

8 Q So to sum up, what is the overall conclusion that you've  
9 drawn from your analysis?

10 A My overall conclusion is that the -- well, I really  
11 haven't done a lot of independent analysis. My  
12 examination of the analysis that I've been presented by  
13 the documentation by the Port and its consultants, I don't  
14 find that they're sufficient to provide reasonable  
15 insurance that (a), construction will not adversely impact  
16 the wetlands to a greater degree than had been previously  
17 presented and (b), that the wall will survive an expected  
18 seismic event over the life of the structure without  
19 adversely impacting the adjacent wetlands.

20 MR. STOCK: Thank you. That's all I have.

21 MR. KRAY: I have an objection to the last  
22 comment, to the extent the term "reasonable assurance" is  
23 construed as a legal conclusion.

24 MS. COTTINGHAM: Do you wish it be stricken from  
25 the record?

**AR 055712**

1 MR. KRAY: I do.

2 MS. COTTINGHAM: I'm going do overrule the  
3 objection, the Board will make note of the objection and  
4 give it weight.

5 Mr. Poulin?

6 MR. POULIN: No questions for CASE, Your Honor.

7 MR. STOCK: Ms. Cottingham, may I shut the  
8 blinds behind the witness? Because of the glare, I just  
9 can't --

10 MS. COTTINGHAM: You may do whatever you like  
11 with the blinds.

12 MR. STOCK: Thank you. That's helpful.

13

14 EXAMINATION

15 BY MR. REAVIS:

16 Q Dr. Kavazanjian, my name is Gil Reavis. We met  
17 about twenty minutes ago.

18 You've designed and built a lot of MSE walls, is that  
19 correct?

20 A Yes.

21 Q Any idea how many?

22 A Half a dozen.

23 Q Under the right circumstances, that can be a very useful  
24 type structure?

25 A That's correct.

**AR 055713**



1 Q Now, with regard to the design standards then, let me  
2 first talk about the numeric-type criteria. Do you know  
3 what I mean when I refer to numeric criteria?

4 A Not really. FLAC analysis?

5 Q Maybe I'm using the wrong term. I'm talking about the  
6 ten percent?

7 A Per year standard.

8 Q I've also heard that defined as a 475-year earthquake, is  
9 that correct?

10 A That's a colloquial representation of ten percent in  
11 50 years, yes.

12 Q How do you get to 475?

13 A That's called the return period, that's the average period  
14 of time between events of that strength, so if it's a  
15 475-year return period it would mean that you would expect  
16 that earthquake to occur approximately once every 475  
17 years. However, as I say, that's a colloquial  
18 representation of the two-part design criteria that's  
19 typically specified.

20 Q Okay. Do you know what the return period is then for the  
21 three percent in 75-year standard that you've mentioned?

22 A Yes. It's approximately 2,375 years, if you want to be  
23 relatively precise.

24 Q So using that, as I understand what you just discussed,  
25 you could expect that sort of earthquake to return about

**AR 055714**

1 every 2,400 years?

2 A That's correct.

3 Q Now the ten percent in 50-years standard is the standard  
4 under the current AASHTO code, is that correct?

5 A It's the minimum standard for typical bridges, yes.

6 Q And these revisions to the AASHTO code that you've talked  
7 about have still not been approved by AASHTO, is that  
8 correct?

9 A That's correct. My understanding is they'll be voted on  
10 just in May.

11 Q You're not sure they'll actually be adopted?

12 A I have no guarantee.

13 Q Now the ten percent in 50-years standard is, I think you  
14 said, common for commercial and residential structures?

15 A That's correct.

16 Q And that includes office buildings?

17 A That's correct.

18 Q For example, a high-rise office building could be designed  
19 to the ten percent in 50-years standard?

20 A Within certain limits, yes.

21 Q Do you know what the standard is for a high-rise office  
22 building in downtown Seattle?

23 A I'm not familiar with the Seattle building code.

24 Q I think you described in your prefiled testimony this  
25 three percent in 75-years standard as being a standard for

**AR 055715**

1           what are called life-line structures?

2           A    I believe I referred to life-line structures in my  
3           testimony about three percent in 75 years.  The difference  
4           between the life-line and ordinary structure would not be  
5           the three percent in 75 years, it would be the performance  
6           under that load.  So in a life-line structure under the  
7           three percent in 75-years earthquake you would design it  
8           to have no damage and be serviceable; with a typical  
9           bridge with the three percent in 75 years, you would  
10          design it not to collapse.  So the design standard is the  
11          same, but the performance standard changes with importance  
12          of the structure.

13          Q    What sort of structure would you describe as a life-line  
14          structure?

15          A    Bridges, pipelines, airports are considered life-line  
16          structures because they're essential to the response and  
17          recovery of the region after the earthquake.

18          Q    Hospitals, I assume?

19          A    Hospitals.

20          Q    You mentioned performance standards.  Is that oftentimes a  
21          more narrative criteria?

22          A    I'm not sure what you mean by a narrative criteria.  The  
23          performance standards, for instance in the AASHTO code,  
24          the performance standards are clearly specified in the  
25          code; there's a narrative that accompanies that code that

**AR 055716**

1 goes into further detail, but the performance standards of  
2 whether you design it to not collapse or to remain  
3 serviceable after the earthquake or not be damaged at all,  
4 that's part of the code, that's not a narrative.

5 Q I guess I'm trying to distinguish between something that  
6 has numbers affixed to it and something that describes the  
7 design so it's not going to not collapse.

8 MR. STOCK: There's no question.

9 Q (By Mr. Reavis) Can you explain for me if the performance  
10 standards are actually, as you describe them, words that  
11 say it's not going to collapse as opposed to a numeric  
12 standard?

13 A Actually, once you design a bridge not to collapse, you do  
14 a numerical analysis that's called a pushover analysis to  
15 determine what loads and what conditions will cause that  
16 bridge to collapse, so you do have to assign a numerical  
17 value to that collapse standard.

18 Q Have you seen Mr. Bailey's prefiled testimony here?

19 A Yes, I have.

20 Q Have you reviewed the performance standards set forth in  
21 that testimony?

22 A Yes, I have.

23 Q So one of those is that the MSE walls and bank of fill  
24 will remain stable during and after the basis of design  
25 criteria?

**AR 055717**

1 A I believe that's correct.

2 MR. STOCK: Objection.

3 Q Is that the type of thing you're talking about when you  
4 describe performance standards?

5 A That would be the type of thing I think that you describe  
6 as a narrative standard. The performance standard would  
7 then be the conclusion -- well, I guess one of my  
8 criticisms all along is there has been no quantitative  
9 performance standard, they have simply said we don't want  
10 it to collapse. Then, instead of saying what would  
11 constitute collapse, what amount of deformation would be  
12 available, and then doing the analysis to see if they have  
13 that much deformation, they run the analysis, they get a  
14 certain amount of deformation and then they say: Oh,  
15 that's looks okay. So there was never any attempt made to  
16 rationally quantify what the acceptable deformation would  
17 be without the wall collapsing.

18 Q Do you believe the Port hasn't done that analysis?

19 A I've not seen any indication it's been done.

20 Q Let me ask you just a couple of questions about the FLAC  
21 program, and maybe if you could give us a general  
22 understanding of what that does?

23 A In a computer program like FLAC, you build a numerical  
24 model of the earth structure, you basically make a grid -  
25 let's call it a tic-tac-toe - you make a geometrical

**AR 055718**

1 representation of what you're going to model, so you draw  
2 the wall and you draw the subgrade in. And then you break  
3 that up into a bunch of little elements and to each of  
4 those elements you assign a property: Sand, glass,  
5 concrete, metal strips, and you put all of that into the  
6 computer program which then computes the response of that  
7 geometric structure to some input earthquake motion, it's  
8 a numerical computation.

9 Q And that is the program the Port did last year?

10 A That is what FLAC does. There are many programs that do  
11 that.

12 Q You've never personally used the FLAC yourself?

13 A That's not true.

14 Q You have?

15 A We're using it right now.

16 Q You, yourself?

17 A Well, the engineers who work for me.

18 Q Let's talk a little bit about the concept of failure with  
19 regard to a wall of this type. Now, a conclusion that the  
20 wall fails doesn't necessarily mean that the wall falls  
21 down, is that correct?

22 A Elements of the wall can fail without a total collapse of  
23 the wall.

24 Q So one definition of failure would be that the wall  
25 deforms somewhat, and that could be considered wall

**AR 055719**

1 failure?

2 A In some circumstances it could be, in other circumstances  
3 it could be considered acceptable performance. It's  
4 important to define that when you develop your seismic  
5 criteria.

6 Q But as applied to this particular wall, the conclusion  
7 could be reached that the wall has failed, and yet it  
8 doesn't mean that the soil is spilling out into the  
9 neighboring wetland?

10 A I'm not sure what you mean by the conclusion could be  
11 reached; somebody could certainly come to that conclusion,  
12 yes.

13 Q I guess trying to establish that the concept of failure in  
14 this context doesn't necessarily mean that the soil is  
15 going to come spilling out of the MSE wall?

16 MR. STOCK: Object. Vague.

17 MS. COTTINGHAM: Restate the question.

18 Q (Mr. Reavis) Does the concept of failure necessarily mean  
19 that the dirt behind the wall is going to come spilling  
20 out?

21 A I don't want to get into semantics, but you need to define  
22 -- if you're going to talk about failure, you need to  
23 define what you mean by failure. In some cases we talk  
24 about acceptable deformation, so the wall could certainly  
25 deform from its pre-earthquake state in a manner that is

**AR 055720**

1 considered acceptable, that's not considered failure.

2 Q Now is it true that you haven't done any analysis of the  
3 Port's design to calculate what level of earthquake would  
4 cause a global failure of the wall?

5 A That's true.

6 Q You don't know particularly whether a one-foot or a  
7 four-foot deformation or some other similar deformation  
8 would cause the embankment to lose any soil?

9 A I don't think anybody knows the answer to that.

10 Q Are you familiar with the group of people who are called  
11 the Embankment Technical Review Board?

12 A Yes.

13 Q Have you seen documents produced by that group?

14 A I've seen one summary report, and I don't know it was  
15 produced by them; I've seen a summary report produced by  
16 the facilitator for that group, Peter Douglas, that  
17 purported to summarize what their conclusions were.

18 Q Do you know if that group was conducting a peer review of  
19 the Port's consultant's design of this structure?

20 A My understanding was they were serving in a review  
21 capacity; to the extent they conducted their reviews, what  
22 questions they were asked to answer, I don't know.

23 Q Let me ask you about some of the individuals in that  
24 group. Do you know Dr. James Mitchell?

25 A He was my dissertation advisor.

**AR 055721**



1 Q So you would accept him an expert in soil and ground  
2 behavior?

3 A Certainly.

4 Q How about Dr. I.M. Idriss?

5 A Yes.

6 Q Do you know him?

7 A I do know him.

8 Q Do you also acknowledge that he is an expert in the  
9 earthquake engineering field?

10 A In seismic response, yes.

11 Q Do you know Dr. Barry Christopher?

12 A I do know Dr. Christopher.

13 Q How do you know him?

14 A We worked on a large super fund project, the operating  
15 industries super fund site, where we were analyzing the  
16 performance of a reinforced earth wall. He was on the  
17 EPA's technical review board.

18 Q What is his area of specialty, if you know?

19 A Geosynthetics.

20 Q Now, let's talk a little bit about this method of  
21 constructing the embankment that involves excavating some  
22 of the problematic soils and replacing them. Is that  
23 something that you're familiar with?

24 A Yes.

25 Q That's a good idea from a stability standpoint, is it not?

1 A I would agree with that, yes.

2 Q Your comments, as I understand them, relate to the  
3 hydrologic impacts of that technique?

4 A That's correct.

5 Q But you haven't done any studies to quantify what those  
6 impacts might be?

7 A Nothing other than my back-of-the-elbow calculation on  
8 direct precipitation.

9 Q And that's what you described earlier?

10 A Gpm, yes.

11 Q You haven't done studies on contaminant fate and transport  
12 potential caused by that sort of technique?

13 A No, I have not.

14 Q Do you know if the RECO is the largest builder of MSE  
15 walls in the world?

16 A I don't know that for a fact.

17 Q A couple of other big MSE walls referred to in your  
18 prefiled testimony, one of them being in South Africa, is  
19 that correct?

20 A Those, I'm basically citing the information that was  
21 provided to us by the Port's consultants, two walls of  
22 similar height, one in South Africa and one in Hong Kong.

23 Q Do you know anything about the South African wall?

24 A Little, except for the fact that it's never been subjected  
25 to significant seismic loading.

**AR 055723**

1 Q What about the Hong Kong wall?

2 A Again, little except that it's a RECO wall and it also has  
3 never been subjected to significant seismic loads.

4 Q I guess that's my question. Do you know what seismic  
5 loads either of those structures has been subjected to?

6 A My understanding is that neither of them has been  
7 subjected to any kind of significant earthquake shaking,  
8 what we would consider to be strong ground motions would  
9 be something that would generate at least one-tenth the  
10 acceleration of gravity, which would be still one third of  
11 what the ten percent in 50 years earthquake is.

12 MR. REAVIS: I think that's all I have. Thank  
13 you.

14 MS. COTTINGHAM: Mr. Kray.

15 MR. KRAY: No questions.

16 MS. COTTINGHAM: Redirect.

17 MR. KRAY: A few redirect.

18

19 EXAMINATION

20 BY MR. STOCK:

21 Q Dr. Kavazanjian, by any chance, do you know what design  
22 earthquake has been used for building the new viaduct in  
23 downtown Seattle?

24 A My understanding is that the design earthquake for new  
25 construction for the Alaskan Way Viaduct would be three

**AR 055724**

1 percent in 75 years.

2 Q And with respect to Mr. Reavis' questions on wall  
3 deformation, if the wall deformed four feet, what would  
4 you expect to happen?

5 A Well, that's not a simple question to answer, because if  
6 it was a gradual deformation and if the wall just tilted  
7 and if it was graduate from zero at the base to four feet  
8 at the top, you might conclude that that's acceptable  
9 performance. You might. On the other hand, if, you know,  
10 a segment in one of the piers of the wall shifts four  
11 feet, that's clearly unacceptable performance.

12 Q What would be your expectation with respect to the wall  
13 panels?

14 A Certainly, with that magnitude of deformation, the panels  
15 would separate from the strips and there would be a  
16 significant soil loss. The panels are at most six inches  
17 wide, so if it moves four feet you would have a gap where  
18 there would be significant soil loss and slumping, at a  
19 minimum.

20 MR. STOCK: That's all I have.

21 MS. COTTINGHAM: I have a couple of questions  
22 for you.

23 When you said the ten-percent chance over 50 years,  
24 what word would you associate with the ten percent?

25 Collapse, failure, slump, damage?

**AR 055725**

1 THE WITNESS: It's probability that an  
2 earthquake motion greater than the design motion will  
3 occur.

4 MS. COTTINGHAM: So it has nothing to do with  
5 what happens, it's the earthquake probability?

6 THE WITNESS: That's correct.

7 MS. COTTINGHAM: The second question is, can you  
8 assign a magnitude to the earthquake? We're used to 6.8's  
9 around here.

10 THE WITNESS: That's my understanding. My  
11 understanding is that's a representative -- one of the  
12 issues in a probabilistic seismic hazard analysis is  
13 there's no single magnitude, actually, that acceleration  
14 comes from a whole family of earthquakes, large magnitude  
15 earthquakes very far away, small magnitude earthquakes  
16 very close, but the average magnitude assigned to that  
17 design earthquake is about 6.7, and I think it represents  
18 the Seattle Fault earthquake.

19 MS. COTTINGHAM: Do you happen to know, you  
20 used the three percent in 75 years for the life-line  
21 structures and then you used the example of the Alaskan  
22 Way. Do you happen to know what the standard is for  
23 things like earthen dams, maybe even concrete dams?

24 THE WITNESS: The standard for dams depends on  
25 the hazard. A high-hazard dam is defined as a dam, the

**AR 055726**

1 failure of which would kill six or more people, and I'm  
2 not sure where the six comes from, but that's the  
3 government definition of a high-hazard dam. It's an  
4 earthquake that I guess I'll have to use return period, it  
5 has a return period of about 10,000 years, so it's  
6 approximately a one percent in a hundred years for a  
7 high-hazard dam, and that standard decreases as the hazard  
8 goes down.

9 MS. COTTINGHAM: Thank you. Any other Board  
10 questions?

11 MR. LYNCH: I have one.

12 Thank you for your testimony today. I know you were  
13 expressing some concerns about the wetland soils being  
14 replaced with densely compacted soils, but I wanted to ask  
15 you a question about the densely compacted soils. When  
16 you were expressing concerns regarding the performance of  
17 these tall MSE walls, were you taking into account that  
18 they would be placed on this densely compacted soil?

19 THE WITNESS: Yes. Let me go back a ways. When  
20 we made our first comments on the wall when stone columns  
21 were proposed, we questioned whether they were appropriate  
22 for the foundation. As pointed out by Mr. Reavis, from a  
23 performance point of view, if they hadn't replaced the  
24 stone columns with densely compacted fill, that would be  
25 an additional concern of mine in terms of performance of

**AR 055727**

1 the wall; but in my current performance assessment, it  
2 does consider the fact that densely compacted soils will  
3 replace those unsuitable soils.

4 MR. LYNCH: Thank you.

5 MS. COTTINGHAM: Any questions as a result of  
6 Board questions?

7 ALL COUNSEL: No, Your Honor.

8 MS. COTTINGHAM: You're excused. Thank you.

9 MR. STOCK: ACC will call its next witness,  
10 Dr. John Strand.

11 Mr. Witek will be asking questions of Dr. Strand.

12 (Pause in proceedings).

13 MS. COTTINGHAM: Okay. Start the clock again  
14 and we'll go back on the record.

15

16 JOHN STRAND, having been first duly sworn or affirmed to  
17 tell the truth, the whole truth, and nothing but the  
18 truth, testified as follows:

19

20

EXAMINATION

21

BY MR. WITEK.

22

Q Dr. Strand, can you introduce yourself to the Board and  
23 spell your last name, please?

24

A I'm John Strand. Spelling is S-t-r-a-n-d. And I'm from  
25 Richland, Washington. I'm a fisheries biologist, I'm

**AR 055728**

1 employed as a consultant, although I work under contract  
2 with the Airport Communities Coalition.

3 Q Dr. Strand, is your CV attached to your prefiled  
4 testimony?

5 A Yes, it is.

6 Q Can you summarize for us your qualifications and your  
7 areas of expertise?

8 A I'm a certified fisheries biologist by the American  
9 Fisheries Society and a Fellow in the American Institution  
10 of Fisheries Research Biologists. My academic training  
11 includes a bachelors degree in biology from Lafayette  
12 College, master of science degree from Lehigh University  
13 in biology, and a final degree, my doctorate in fisheries  
14 biology from the University of Washington.

15 The focus of my studies at the University of  
16 Washington and over some 27 years of employment are to  
17 design and conduct studies to better understand the  
18 chemical fate, transport and biological effects on aquatic  
19 ecosystems, with a focus on fish. I've had 21 years of  
20 experience with Pacific Northwest Laboratories in Richland  
21 and in Sequim, Washington, for the Department of Energy,  
22 it's a national laboratory operated by Battelle Memorial  
23 Institute. Then I worked several years in Alaska on the  
24 oil spill for the National Marine Fishery Service, a  
25 couple of years consulting with Engineering Science and

**AR 055729**



1 Technology in Redmond, Washington, and three years with  
2 the Department of Natural Resources in King County, where  
3 I helped conduct an ecological risk assessment on the  
4 Duwamish River. Since 1999 I've been self employed. I  
5 also teach part time, I hold two adjunct faculty  
6 appointments at Washington State University TriCities in  
7 the biology department, the biological sciences program  
8 and also environmental sciences and regional planning  
9 program. I teach classes in environmental health  
10 assessment, in immunology, aquatic ecology and the  
11 restoration of fish communities. I also teach  
12 occasionally at Columbia Basin Community College in Pasco,  
13 Washington, I teach environmental sciences to  
14 undergraduates there.

15 Q Dr. Strand, can you describe for us the project area  
16 streams? And, if you need to, refer to this oversize  
17 board.

18 A If I may refer to the map that is shown to you here. I've  
19 been working in two principal watersheds since I started  
20 with the ACC in early 2000. The Miller Creek drainage  
21 essentially lays to the north and to the west of the  
22 airfield, it empties out through this drainage here in  
23 Normandy Park. It includes the Walker branch, which  
24 drains an area from this wetland that's west of the  
25 airport, and that all in my opinion constitutes the Miller

**AR 055730**

1 Creek watershed.

2 And then I've worked in the Des Moines Creek  
3 watershed, which essentially -- one branch anyway, flows  
4 out of Bow Lake and comes down the east side of the  
5 airport, south of the airport, through Des Moines Park and  
6 outfalls at Des Moines Beach Park in the city of  
7 Des Moines.

8 There is a west branch that flows through the Port's  
9 property into the Northwest Ponds and then it joins with  
10 the east branch of Des Moines Creek at just a little above  
11 South 200th before then continuing its run to Des Moines  
12 Beach Park.

13 Q Dr. Strand, are there fish in the project area streams?

14 A Yes, there are. Of note, there is a resident population  
15 of cutthroat trout that exploits all these waters  
16 generally, at least the up to -- I have found them all of  
17 the way up to the buyout area south of the boundary that  
18 the Port maintains at this point in time, in Miller Creek.  
19 I've found them in Walker branch as well, and up to South  
20 200th of Des Moines Creek. They're a very abundant,  
21 valued trout species, that's the native cutthroat.

22 Then both of the drainages, the Miller Creek and Des  
23 Moines Creek, are exploited by two pieces of salmon that  
24 we know of, both the chum salmon and the silver salmon or  
25 coho salmon. Generally, the adults return in the fall and

**AR 055731**

1 spawn in the lower reaches of both of these drainages.  
2 Chum, probably the lowest down, and they occur in both  
3 drainages, and then as their larvae hatch out of the  
4 gravel they generally leave right away and go to sea. But  
5 the coho, after their spawn, the young hatch and then  
6 spend another year in the creeks before they outmigrate to  
7 the sea. And generally those areas where I've found  
8 cutthroat trout, I've seen the coho salmon rearing over  
9 that year before they outmigrate to sea.

10 There are some warm water species that are likely  
11 result of introductions in Lake Reba, Lora Lake, possibly  
12 even Northwest Ponds. They're incidentals, but they are  
13 in the streams as well. The other native species I see is  
14 the sculpin, a small bottom fish that is there.

15 So there is a valued salmonid population that hangs  
16 on despite the disturbance there, and clearly the trout  
17 species, the cutthroat there is in great abundance, it  
18 seems fairly hardy and under these conditions it does  
19 pretty well.

20 Q Thank you, Dr. Strand. I will ask you some questions to  
21 get you to summarize some of the major points in your  
22 prefiled testimony, and I'll start with storm water. And  
23 if you need to refer to any exhibits you should let me  
24 know.

25 What's the significance of the volumes of storm water

**AR 055732**

1 being discharged to the project area streams?

2 A Well, if I could refer to I believe it's Exhibit 6, it's  
3 the Port's most recent stormwater annual report, the  
4 Port's data recorded in 2000 and 2001. There's a couple  
5 of tables in the back of that report that might be useful  
6 to look at, let's see if I can get the exact page for you.

7 Well, there are two tables that I want to talk about  
8 briefly, they're on pages 66 and 67. I think these are  
9 illustrative of the volumes of storm water that are  
10 discharged from the Port's outfalls. On page 67, you'll  
11 find the table that provides some estimated runoff volumes  
12 in gallons for storm events that were monitored in July  
13 2000 to June 30th 2001. And on the left-hand side of your  
14 table are some storm dates, these are twenty-some times  
15 that the Port has run their model and calculated the  
16 runoff volumes of these storms that they are required to  
17 monitor per their NPDES permit.

18 And what I'm getting to is, if we look at some of the  
19 estimated runoff volumes, they are fairly significant. I  
20 think you would agree with me. But let's look another SDS  
21 3, which is 005 outfall. If you were to run a quick total  
22 on those estimated runoff volumes, I think we were pretty  
23 close to 40 million gallons that are discharged through  
24 that one outfall. That's a lot of water and that does not  
25 include estimates of runoff for storms that were not

**AR 055733**

1 monitored coming from that outfall.

2 Now if you turn the page, page 66, there are some  
3 estimated peak runoff rates in gallons per minute for the  
4 storm events that were monitored, for which you just  
5 observed some of the total release volumes. And if we  
6 look at the SDS 3 again, it's one of the large outfalls  
7 that discharges to Des Moines Creek, we see estimated peak  
8 runoff rates of 15, 16,000 gallons per minute. Now if one  
9 does a quick conversion to cubic feet per second and we  
10 know something about the flows in the stream from previous  
11 testimony, in the summer, for example, sort of a worst  
12 case, these streams flow at about 1 CFS, that low, and  
13 that's about 500 gallons per minute.

14 Then, keeping that in mind, look at the peak runoff  
15 rates for SDS 3 in this value of 15 or 16,000 gallons per  
16 minute, we're looking at like 35 CFS that's coming out of  
17 there. Now that's not for a long period of time  
18 generally, but the point is I'm saying there's a  
19 significant amount of storm water that is discharged by  
20 the Port's outfalls that can mean trouble for the  
21 indigenous biology for the streams.

22 Q Dr. Strand, can you tell us what's in the storm water?

23 A Yes. It starts with rain and runoff onto impervious  
24 surfaces, for example, streets, roads, parking lots,  
25 taxiways, runways are all examples of impervious surfaces,

**AR 055734**

1 sidewalk as well as buildings, that sort of thing.  
2 Between storms they develop a loading of particulate  
3 materials, it can come from automobile tires, brake shoes,  
4 it can come from dust and the like. All of this then,  
5 when it rains, can be entrained into what we refer to as  
6 storm water.

7 Out here at the airfield, the storm water contains  
8 some metals, particularly zinc and lead and copper, I  
9 mentioned the sediment material, particulate matter.  
10 Also, this translates to turbidity issues that we want to  
11 talk about a little bit later, but it also could include  
12 in this particular case, in the winter, glycols, which are  
13 used to de-ice and prevent icing on aircraft, and there's  
14 some other materials that are placed on the runway as  
15 well -- I'm not going to talk about them today, but  
16 clearly as part of storm water you'll see fecal coliform  
17 bacteria there in the storm water that discharges from  
18 these outfalls that we are talking about. That was sort  
19 of a thumbnail sketch of what is found in storm water.

20 Q Dr. Strand, what's the significance of the presence of  
21 metals in storm water discharging in the project area  
22 streams?

23 A We might look at another exhibit for this. I would like  
24 to ask you to go to Exhibit 426. That's the 1997  
25 stormwater manual, and I think you've seen some of this

**AR 055735**

1 data earlier today, but I would like to ask you to turn to  
2 page 35 in this report, as I remember. Page 35 and it's  
3 Table 19. This was discussed to some degree earlier  
4 today.

5 The significance of metals. Part of what I can talk  
6 about with regard to significance relates to whether or  
7 not the metals are exceeding numerical criteria that are  
8 contained in WAC 173-201-040, which deals with toxic  
9 substances. I'll talk about turbidity later, but we're  
10 going to talk about metals now. I would like to call your  
11 attention to Table 19. This presents some data -- we're  
12 combining data here, but I think it's still illustrative  
13 of a couple of points I would like to make about whether  
14 or not it's my opinion that there are exceedances of these  
15 numerical criteria. This includes data for copper, lead,  
16 nickel and zinc, both from a total recoverable  
17 perspective, as well as a dissolved metal perspective, and  
18 it also provide a hardness relationship as well.

19 But as we look at that data for metals, you look at  
20 the upstream levels and they are generally lower than what  
21 we see downstream, they are certainly a lot lower than  
22 what is coming out of the Port's outfall or outfalls, in  
23 this case, this is what's being discharged to Lake Reba.  
24 The downstream values are higher than the upstream values,  
25 they're not as high as what's in the outfall. And I would

1 like to interpret this information as indicating a  
2 contribution of the outfall to what's still seen or  
3 persistent at some point downstream, in other words, that  
4 there's a contribution by the Port's outfall.

5 Now there's some uncertainty associated with this,  
6 yes, because there are other sources of the storm water  
7 that enter this water body, Lake Reba. But I think it's  
8 difficult to otherwise reconcile the very high values for  
9 copper and zinc that are in the outfall, and I don't think  
10 you can say that there isn't an influence of these metals  
11 that are shown downstream. The exceedances still exist  
12 downstream. And knowing something a bit more about zinc  
13 adds credence to this interpretation. We know that SDN 1  
14 is one of the outfalls that discharges into this water  
15 body. I think there are two other discharges as well, but  
16 SDN 1 is the discharge that has been showing toxicity on  
17 the whole effluent toxicity testing that the Port is  
18 required to conduct periodically, it's part of the  
19 conditions of their NPDES permit. There is a significant  
20 number of failures of that bioassay in data not only from  
21 this 1997 report, but we find evidence of that toxicity in  
22 the '98, '99 and 2000, 2001 reports. Of recent import is  
23 some of the source tracing information that the Port  
24 developed and found that the chemical of concern that can  
25 account for this toxicity is zinc, and they traced it back

**AR 055737**



1 to some galvanized roofing on some of the buildings that  
2 are found in that stormwater basin that contributes to the  
3 outfall known as SDN 1.

4 As an aside, the WET testing from time to time has  
5 also showed toxicity at at least two other outfalls, not  
6 just here but ones that discharge to Des Moines Creek,  
7 SDE 4 has from time to time shown toxicity in whole  
8 effluent testing. The other outfall that discharges here  
9 in Lake Reba has shown toxicity, SDN 4.

10 The other point I would like to make is that because  
11 of the upstream exceedances of copper and zinc, downstream  
12 exceedances and exceedances that we see in the outfall  
13 suggests that this outfall is making a bad problem worse,  
14 which in my opinion is a violation of 173-201-070 --

15 MR. KRAY: Objection.

16 MS. COTTINGHAM: Would you read back his  
17 response?

18 (Reporter read from the record).

19 MS. COTTINGHAM: Much like the earlier ruling I  
20 made on Mr. Kray's motion, I'll overrule the motion but we  
21 will note it for the record and the Board will give it the  
22 appropriate weight.

23 MR. KRAY: Thank you, Your Honor.

24 Q (Mr. Reavis) Go ahead, Mr. Strand.

25 A One final point I would like to make with respect to Table

1 19, and it indicates that the Port, in 1997, or when they  
2 worked with '95-96 data, which this is, did make an effort  
3 to sample above and below their discharges as well as to  
4 determine what's in their discharges, which I think is in  
5 general terms an appropriate approach to try to address  
6 whether or not their discharge is having harm on the  
7 receiving body, I think that's in general a good way to  
8 go. Although I think maybe one of the things I might have  
9 done was to maybe try to model this and get some handle on  
10 the available dilution that you have below discharge so to  
11 better put in perspective just what concentrations of  
12 chemicals are in the stream. But this is the last time  
13 you'll see this approach in the data that they collect.  
14 Their sampling approach has changed, they no longer  
15 develop a picture like this, what's above or what's coming  
16 from the discharge, what may be below the discharge in the  
17 stream. And I think that's a real weakness of their  
18 sampling protocol presently, I think it detracts from the  
19 confidence anyone would have in that they are meeting  
20 their compliance requirements based upon the WAC.

21 Q Dr. Strand, is there evidence that metals are accumulating  
22 in the project area streams?

23 MR. KRAY: Objection. Leading.

24 MS. COTTINGHAM: Sustained.

25 Q (By Mr. Witek) Dr. Strand, are you aware of any evidence

**AR 055739**

1 as to whether metals are accumulating in the project area  
2 streams?

3 MR. KRAY: Objection. Leading.

4 MS. COTTINGHAM: Sustained.

5 Q (By Mr. Witek) Dr. Strand, are there metals in the  
6 project area streams?

7 MR. KRAY: Objection. Leading.

8 MS. COTTINGHAM: Why don't you lay a foundation.

9 Q (By Mr. Witek) Dr. Strand, are you aware of documentation  
10 addressing metals in project area streams?

11 A Yes. Metals, as well as other contaminants will end up in  
12 stream sediments, if there is -- if these are deposition  
13 areas where there's less current, where maybe the  
14 particulates they are associated with end up. And the  
15 Port has collected some of this data, they include in this  
16 same exhibit, 426 - that's on Table 4, it's on page 14 -  
17 some sediment data that I think is of interest here. If  
18 you would turn to that table.

19 MS. COTTINGHAM: What number table is it?

20 THE WITNESS: Table 4 in the 1997 report, the  
21 table is entitled Miller Creek Sediment Quality Data  
22 Summary, milligrams per kilogram dry weight, I think it  
23 amounts to page 14 in that 1997 document.

24 And in looking at this information, it says to me  
25 that metals are accumulating in sediments and, in this

**AR 055740**

1 case, downstream from Lake Reba. But that is of concern  
2 to me. There isn't as much metal associated with upstream  
3 from Lake Reba, but there may be some physical chemical  
4 reasons why, but clearly the levels of chemicals, of  
5 metals in particular, downstream of Lake Reba, suggest to  
6 me that there is this sort of depository of metals there.  
7 And why that may be important is that they are there and,  
8 dependent upon conditions in the stream, freshets, floods,  
9 washouts, changes in the chemistry of the water, these  
10 metals may be mobilized and moved downgradient,  
11 downstream. And we in the state of Washington do not have  
12 sediment quality standards or sediment management  
13 standards for freshwater. We do for marine waters.

14 But I took the liberty of comparing these values to  
15 some Canadian standards for freshwater - these are Ontario  
16 standards - they are mentioned in here, although the  
17 suggestion is that they shouldn't be compared to, they  
18 should be referred to. I don't agree with that. If you  
19 want to try to put into perspective what these  
20 concentrations may be, I feel that the standards that were  
21 developed up in Canada embrace the concept that we use for  
22 our own marine standards, something called the apparent  
23 effects threshold, that these are an appropriate way to  
24 go, at least to see if you have a problem, a screening  
25 tool. When I did that and compared it to the Canadian

**AR 055741**

1 standards, there were some exceedances of the Canadian  
2 standards for copper and for zinc and I believe lead, as  
3 well, suggesting that they are already at levels at least  
4 in this area that may be harmful to invertebrates and  
5 other organisms that can be found associated with  
6 sediments.

7 Q Dr. Strand, in your prefiled testimony you discussed  
8 bioaccumulation. Would you summarize for us what your  
9 prefiled testimony said about that?

10 A I was concerned with whether or not metals that are found  
11 in the streams, either in the water column or the  
12 sediments, were available to invertebrates and fish that  
13 live in the stream, in other words, were the metals that  
14 we see in the stream, were they being accumulated by the  
15 animals that live there, the trout -- and I did look at  
16 trout, I couldn't look at salmon, there's no way you can  
17 kill a salmon to look at its metals screen. But I did  
18 collect trout in both Miller Creek and in Des Moines  
19 Creek, just below the Port's boundaries; I had no access  
20 to the Port's properties to collect fish in the reaches of  
21 the streams that pass through their property, but I could  
22 for example in Des Moines Creek go right up to the South  
23 200th Street crossing of Des Moines Creek, that's just  
24 below the Tye Golf Course where Des Moines Creek  
25 outfalls. And I did seine up some trout in that immediate

1 reach below South 200th Street, and I then had them  
2 delivered to an analytical laboratory that extracted the  
3 total metals from those fish.

4 I did a similar collection in Miller Creek. I did  
5 this two times in the year 2000, both in the wet season  
6 and in the dry season, to see whether there was a  
7 difference relatable to the amount of storm water being  
8 added to the streams. The data that was derived from the  
9 analytical laboratory I then compared to some threshold  
10 values that were developed by a scientific colleague, his  
11 name is Sheppard. These are really what we refer to as  
12 tissue screening concentrations, and they relate to the  
13 amount of accumulated -- in this case metal in a fish, and  
14 whether or not you can correlate a bioeffect, in other  
15 words, cause and effect, you see the buildup of the metal  
16 in the animal and at what time and what level does it  
17 cause toxicity. He has been putting - his name Sheppard -  
18 putting together a database of threshold values, toxicity  
19 or -- excuse me, tissue screening values. And the Army  
20 Corps of Engineers has adopted this database, it's  
21 available on the web site that they have at the Vicksberg  
22 experiment station in Mississippi, for example. These are  
23 tissue screening concentrations that are used to make some  
24 sense out of uptake of metals and other materials  
25 associated with their drinking operation, it's from

1 materials that are in dissolution and suspension.

2           Anyway, I did these comparisons and, when I did that,  
3 I found that for lead and zinc the tissue screening  
4 concentration or the thresholds that Sheppard derived  
5 that's being used now by Army Corps were exceeded. What  
6 this tells me, it's not anything absolute, but the use of  
7 that information - again, I'll emphasize screening - tells  
8 me that we have a problem; it doesn't tell me much about  
9 the magnitude of the problem, but it does prompt a  
10 question or beg another question about getting at the real  
11 risks associated with these animals that are exposed to  
12 metals in the system and that are accumulating metals in  
13 the system. Clearly the Port contributes a lot of metals  
14 to this system.

15 Q Dr. Strand, have you observed turbidity in the project  
16 area streams?

17 A Yes. On site visit January 28th, this is a site visit to  
18 the Port, I had occasion to -- I was toured about the  
19 airport site by the Port's hosts, and one of the stops on  
20 the tour was the outfall of the SDS 1. It outfalls to Des  
21 Moines Creek just about here on this bend. It's at the  
22 south side of the tank farm. I believe there's a picture  
23 somewhere that was an exhibit, a picture I snapped of the  
24 outfall of SDS 1 to Des Moines Creek at this location.

25 Q Dr. Strand, is that Exhibit C, to your prefiled testimony?

**AR 055744**

1 A Yes, it is. It should be here. Okay.

2 MR. WITEK: I have extra copies of the  
3 photograph here, if any one else wants one.

4 A (Continuing) The picture that is prefiled Exhibit C, I  
5 believe shows the contribution of SDS 1 here. The outfall  
6 is on the right-hand side of the picture and it's demarked  
7 by the white milky color to the stream, you can see it  
8 actually extends down into the stream and it mixes with  
9 the stream. I had an occasion to bring with me on this  
10 date a Hellig turbidimeter, this was a sensor that will  
11 measure the amount of suspended material in the water. It  
12 does in terms of nephelometric turbidity units, which is  
13 relatable to the standard in the WAC 201 water quality  
14 criteria.

15 MS. COTTINGHAM: Would you mind spelling both of  
16 those words you just used for the court reporter.  
17 T-u-r-b-i-d-i-m-e-t-e-r. N-e-p-h-e-l-o, nephelometric.

18 MS. COTTINGHAM: Thank you.

19 A (Continuing) What I did with the turbidimeter was to take  
20 some samples, I took duplicate samples in the stream above  
21 where the outfall enters the stream, and then I took the  
22 two additional samples just below where the discharge of  
23 SDS 1 enters the stream. There was some mixing occurring,  
24 not a lot. I didn't go but a couple of meters below --  
25 well, it was just about at the juncture of that boom

**AR 055745**



1 that's there, that's the snake-like object that's there to  
2 catch floatables and the like.

3 When I did those measurements, I determined that the  
4 ambient, that is, the upstream turbidity level was around  
5 29 or 30 nephelometric turbidity units, NTU's. When I  
6 took the samples out of where SDS 1 was mixing with Des  
7 Moines Creek, I found a tenfold increase in the NTU, that  
8 is where I think the duplicate readings were 299, 300,  
9 something like that. There is I think an exhibit that  
10 Dr. Willing referred to this morning, e-mailed to me, he  
11 was collecting data that day and he made the results of  
12 that and I was busy with the meter, but that will document  
13 the turbidity readings. That's about it.

14 Q Okay. Dr. Strand, just to sum up on storm water, what  
15 impact would construction of a third runway have on  
16 stormwater discharges to the project area streams?

17 MR. PEARCE: I object on the lack of foundation.  
18 There's testimony that he talked a lot about the existing  
19 impacts but not a lot about the new project that's  
20 proposed.

21 MS. COTTINGHAM: Would you lay a foundation.

22 Q (By Mr. Witek) Dr. Strand, are you aware of the Port's  
23 third runway proposal?

24 A Yes, I am.

25 Q Can you generally describe its features?

**AR 055746**

1 A Among other things they will -- I think it's germane to  
2 this issue, they will increase the quantity of impervious  
3 surfaces that would be available for runoff to occur.

4 Q What would be the result?

5 A Increased volume of storm water to creeks and, presumably,  
6 unless we do something about the quality of the storm  
7 water, it would be that much more in the way of chemical  
8 burdens to reconcile entry to the creeks.

9 Q Dr. Strand, I want to move on to another topic.

10 Can you summarize for us the concerns you expressed  
11 in your prefiled testimony regarding the fill that's been  
12 imported to the third runway site?

13 A There's I think a series of exhibits that should be part  
14 and parcel to my prefiled. But to make a long story  
15 short, I indicated through these exhibits that it's my  
16 opinion that there are chemicals that exist in the  
17 existing stockpile of fill material that would be used for  
18 the third runway. I've cited three examples where the  
19 documentation indicates that the Port has accepted  
20 contaminated fill. One of these is the Hamm Creek  
21 sediments, soils, they're really sediments, their origin I  
22 believe was the Duwamish River, they were dredged from the  
23 Duwamish River. They came, actually 80,000 cubic yards  
24 were accepted by the Port and moved to the stockpile at  
25 the airfield and the Army Corps characterized the

**AR 055747**

1 sediments. There's also some data that the Port has used  
2 that was collected by Boeing -- they are not as recent.  
3 The soils characterization, the sediment characterization  
4 that the Corps did was I believe '97, and I think you have  
5 to go back to 1990 for the Boeing report.

6 The characterization provided by our Army Corps,  
7 Seattle District, said that there were chemical  
8 contaminants in these materials, quote: DDT and PCBs.  
9 DDT is a pesticide, and PCBs are polychlorinated  
10 biphenyls, they're dioxins, an infamous PCB, but they're  
11 hazardous chemicals, and levels for 14 and 160 parts per  
12 billion respectively. This was based on four samples  
13 taken by the Corps, they were composited down to two. All  
14 of this for 80,000 cubic yards.

15 The Boeing study that went back to 1990 was done for  
16 an entirely different purpose. It was done as part of a  
17 property transfer, it was a site assessment, and there was  
18 some sampling but did not detect any chemical contaminant  
19 such as PCBs or the pesticides. I think there were eight  
20 or ten samples that were taken, as I remember, certainly  
21 more so than what the Corps took.

22 The problem here is there were different methods  
23 used, different locations used, the results were very  
24 different and I would think that that would have prompted  
25 another round of samples to try to reconcile this, but

1 that wasn't the case. Really on the bases of finding  
2 nothing in the Boeing samples and the four limited samples  
3 that the Corps did, the Port accepted those materials and  
4 they're now stockpiled at the airfield.

5 Q Dr. Strand, are there two other sites that you are  
6 concerned about?

7 A There are two other sites, one is the First Avenue Bridge,  
8 First Avenue South Bridge. Soils that were 85,000 cubic  
9 yards were moved to the Port. To make a long story short,  
10 there the issue was finding petroleum hydrocarbons in the  
11 samples, some of which exceeded at that time the MTCA, a  
12 cleanup standard that was being applied to fill criteria  
13 that were being evolved by the Port and under the  
14 cognizance and review of Ecology.

15 Q Dr. Strand, can you tell us about the third site and what  
16 that constituent was?

17 A That was a Black River Quarry site. And again this is an  
18 issue of petroleum hydrocarbons that come from asphalt  
19 materials that found their way into the rock-crushing  
20 machines that were used to process the soils that came  
21 from that site and were transferred to the Port's  
22 stockpile. And at this time we were seeing a change in  
23 the standard that was applied, the MTCA standard, it was  
24 going up by a factor of ten, from 200 to 2000 parts per  
25 billion, with respect to a particular fraction of

**AR 055749**

1 petroleum hydrocarbons, I think it was diesel and heavy  
2 oils. But clearly there was, at the time, the standard  
3 was still back down at the 200, that is, the time that  
4 this candidate soil or fill was being evaluated for  
5 transfer, it was transferred -- some, maybe not all of it.  
6 But the point here is that, in my opinion, there are soils  
7 that are stockpiled that contain some chemicals and some  
8 of these chemicals are problematic to me.

9 Q Thank you, Dr. Strand.

10 I noticed in paragraph 39, you discuss sampling. Can  
11 you summarize your concerns there?

12 A Yes. I think -- and I sort of emphasized this when I  
13 described the Corps of Engineers efforts to characterize  
14 the Hamm Creek sediments, there were only four samples  
15 composited down to two for 80,000 cubic yards, there was  
16 the additional -- I shouldn't say the additional Boeing  
17 samples, the Port used the ten-year-old Boeing samples as  
18 additional sampling. The point I'm getting at is that in  
19 my opinion, the number of samples that were taken here to  
20 characterize the candidate fill material is far too low to  
21 reasonably assure you that you haven't missed some  
22 chemicals in the soil. You know, 2, 4, 10, 14, 16 total,  
23 14 total samples that characterized the 80,000 cubic yards  
24 in my opinion isn't statistically rigorous.

25 There clearly are techniques available that are

**AR 055750**

1 applied to hazardous waste sites. The state Ecology's  
2 Peter Kmet was suggesting these himself, he was suggesting  
3 a much greater sampling effort to help characterize the  
4 potential for chemical contaminants in candidate soils.  
5 So I'm saying it doesn't meet with my understanding of  
6 statistical requirements to provide much assurance that  
7 these materials that we're stockpiling there are free of  
8 chemicals.

9 MR. KRAY: Ms. Cottingham, I believe we've  
10 reached 5 o'clock. Would this be a good time to wrap up?

11 MS. COTTINGHAM: Let's me ask how many  
12 questions you have, and we'll break at the end of  
13 direct, unless it's going to go on.

14 MR. WITEK: I think it's five to ten minutes.

15 MS. COTTINGHAM: Continue.

16 Q (By Mr. Witek) I wanted to move on to one last topic.

17 A I wanted to add one thing. I guess why I bring that up,  
18 why I have included that in my prefiled testimony, is that  
19 knowing that there are chemicals in the soils that could  
20 be used, that are stockpiled there, that could find their  
21 way into the final mix of fill for the embankment, raises  
22 my concern that there might be -- I think there is a  
23 potential that some of these chemicals will be mobilized  
24 in the soil column. There is a potential in my view that  
25 some of these materials could move out of the fill column

1 and gain entry to groundwater which may be connected to  
2 surface waters.

3 (Pause in proceedings).

4 A (Continuing) I was just saying it's just a concern of mine  
5 that that could happen. From work that I've done  
6 elsewhere, I have seen contaminants in soils migrate  
7 through soil, gain entry into groundwater, and move into  
8 surface water. So that just raised a red flag for me that  
9 that should be addressed.

10 MR. WITEK: Ms. Cottingham, we still haven't  
11 actually got to the questions I had left at 5 o'clock, so  
12 I'm thinking it might actually work better if we just end  
13 now and I think we can wrap up very quickly tomorrow  
14 morning.

15 MS. COTTINGHAM: I think that is a good  
16 suggestion. This is a break in your line of thinking at  
17 this point?

18 MR. WITEK: That's correct.

19 MS. COTTINGHAM: Okay. Why don't we do that.  
20 We'll stay on the record for a second.

21 How much time has elapsed?

22 MR. POULIN: On the Appellants' clock, 2 hours  
23 35 minutes and 13 seconds, and on Respondents' clock,  
24 1 hour 49 minutes and six seconds.

25 MS. COTTINGHAM: Okay. Is this your last

1 witness for ACC, not counting rebuttal witnesses?

2 MR. STOCK: Yes, in terms of witnesses we are  
3 calling, then obviously we will have examination of  
4 Ecology's and the Port's witnesses. But the next step  
5 will be to move to Ecology witnesses.

6 MS. COTTINGHAM: Mr. Kray is this order,  
7 Fitzpatrick, O'Brien, Garland, Yee, Wang, Walter, the  
8 order you plan to go?

9 MR. KRAY: I believe it is. We had previously  
10 had Kelley Whiting on there, it looks like he's come off  
11 and been rescheduled. I think that's because his schedule  
12 didn't permit him to arrive before Monday, so I do  
13 anticipate that at some point tomorrow, when ACC has  
14 completed the examination of Dr. Strand, we will begin  
15 with Kevin Fitzpatrick.

16 MS. COTTINGHAM: Do you think this will fill up  
17 all of tomorrow, or we won't need anyone else on deck?

18 MR. KRAY: I can certainly let you know who we  
19 anticipate going on to after Ms. Walter. And we will  
20 address that this evening and get those people here to  
21 fill up the day.

22 MS. COTTINGHAM: We need to know the names on  
23 the list so that we can all be prepared.

24 MR. KRAY: And I can do that, I'll do that right  
25 now.

**AR 055753**



1 MS. COTTINGHAM: Even if you don't call them  
2 tomorrow, if they are on deck, we should know about that.

3 MR. KRAY: I anticipate that tomorrow we will be  
4 able to complete Mr. Fitzpatrick, Mr. O'Brien,  
5 Mr. Garland, Mr. Yee. Now I'm anticipating that we won't  
6 have more than an hour or so of Dr. Strand. On deck then  
7 I would have Mr. Wang, Ms. Walter, and that's probably a  
8 full day right there. Does that sound right?

9 And I'll make Mr. Stockdale available as well. I  
10 wouldn't suggest that anybody try to prepare beyond  
11 Mr. Stockdale.

12 MS. COTTINGHAM: It also might be a nice day to  
13 have a little bit of an afternoon. So if it looks like  
14 around 4 o'clock it's time to change to a longer witness,  
15 we may call that a day. It just depends how we all feel.

16 MR. REAVIS: Could I make just one procedural  
17 suggestion and that is, with regard to motions like we had  
18 today, it would be nice and I have no idea what the  
19 Board's calendar is like and don't know if this is  
20 workable, but to the extent possible if we could consider  
21 those types of motions outside of the hours of 9:30 to  
22 5:00. I'm afraid we might not run out of chronos chess  
23 clock but we might run out of days if we eat up more of  
24 our days with motions.

25 MS. COTTINGHAM: I'm going to recommend that at

1 the end of Friday to have the discussion Monday morning on  
2 assessment of where we are in terms of time. So I can say  
3 you've gone through 50 percent of your time and 50 percent  
4 of your witnesses, but I have no idea whether or not the  
5 50 percent remaining will consume 75 percent of the  
6 available time.

7 (Laughter).

8 MS. COTTINGHAM: So with that, just be prepared  
9 that after the conclusion of tomorrow that each of the  
10 parties needs to do an assessment of where we are.

11 And with that, unless there's anything else, we'll go  
12 off the record and be back at 9:30 tomorrow morning.

13 (Evening recess 5:10 PM)

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

STATE OF WASHINGTON )

SS

COUNTY OF THURSTON )


Betty J. Koharski, Notary Public in and for the State of Washington, residing at Olympia, does hereby certify:

That the annexed and foregoing Transcript of Proceedings, pages 4-0001 thru 4-0204, was reported by me and reduced to typewriting by means of computer-aided transcription;

That said transcript is a full, true and correct transcript of my shorthand notes of proceedings heard Before the Pollution Control Hearings Board on March 21, 2002 at Lacey, Washington;

That I am not a relative or employee of counsel or either of the parties therein or otherwise interested in said proceedings.

WITNESS MY HAND AND OFFICIAL SEAL this 23rd day of April, 2002.



Notary Public, in and for the State of Washington, residing at Olympia. My commission expires September 17, 2003. Washington CSR No. KOHARBJ619BN