

1 THE BEFORE POLLUTION CONTROL HEARINGS BOARD

RECEIVED  
MAY 13 2002

2 STATE OF WASHINGTON

ENVIRONMENTAL  
HEARINGS OFFICE

3 AIRPORT COMMUNITIES COALITION, )

4 )

Appellants, )

5 )

CITIZENSE AGAINST SEA-TAC )

6 EXPANSION, )

)

7 Intervenor/Appellant, )

)

8 vs. )

)

9 DEPARTMENT OF ECOLOGY and )

the PORT OF SEATTLE, )

10 )

Respondents. )

11 )

12 TRANSCRIPT OF PROCEEDINGS

13 DAY EIGHT

14  
15 March 27, 2002  
16 Lacey, Washington

17  
18  
19 CINDY L. IDE  
20 Certified Court Reporter  
Washington CCR No. IDE\*\*CL328MT  
21 GENE BARKER & ASSOCIATES, INC.  
22 406 Security Building  
23 203 Fourth Avenue SE  
Olympia, Washington 98501  
(360) 943-2693  
24  
25

AR 056384

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BE IT REMEMBERED that the above-entitled matter came on for hearing before the Pollution Control Hearings Board, Day Eight commencing on the 27th day of March, 2002, and continuing through Day Ten, the 29th day of March, 2002. The hearing was conducted at the Environmental Hearings Office, 4224 Sixth Avenue SE, Rowe Six, Building 2, Lacey, Washington.

Sitting as the Washington State Pollution Control Hearings Board were KALEEN COTTINGHAM, presiding; ROBERT JENSEN, Board Chair, and BILL LYNCH, Member.

A P P E A R A N C E S

For the Appellant:           **PETER J. EGLICK**  
  **KEVIN L. STOCK**  
  **MICHAEL WITEK**  
  Attorneys at Law  
  HELSELL FETTERMAN  
  1500 Puget Sound Plaza  
  1325 Fourth Avenue  
  Seattle WA 98111

**RACHAEL PASCHAL OSBORN**  
  Attorney at Law  
  2421 West Mission Avenue  
  Spokane WA 99201

For Intervenor CASE:       **RICHARD A. POULIN**  
  Attorney at Law  
  SMITH & LONEY  
  2317 East John Street  
  Seattle WA 98112

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

For the Respondent  
Department of Ecology:

**JEFF B. KRAY**  
**JOAN MARCHIORO**  
**THOMAS J. YOUNG**  
Assistant Attorneys General  
P.O. Box 40117  
Olympia WA 98504-0117

For the Respondent  
Port of Seattle:

**GILLIS E. REAVIS**  
Attorney at Law  
BROWN, REAVIS & MANNIN  
1191 Second Avenue  
Suite 2200  
Seattle WA 98101

**ROGER PEARCE**  
**STEVEN G. JONES**  
Attorneys at Law  
FOSTER PEPPER & SHEFELMAN  
1111 Third Avenue  
Suite 3400  
Seattle WA 98101

**AR 056386**

I N D E X

TESTIMONY

PAGE REFERENCE

KEITH SMITH

By Ms. Osborn 8-0001 - 8-0007  
By Mr. Poulin 8-0007 - 8-0032  
By Mr. Pearce 8-0033 - 8-0036  
Board Questions 8-0054 - 8-0064

CHARLES WISDOM, Ph.D.

By Mr. Pearce 8-0037 - 8-0060  
By Mr. Poulin 8-0060 - 8-0073  
By Mr. Pearce 8-0073 - 8-0076

DONALD E. WEITKAMP, Ph.D.

By Mr. Pearce 8-0077 - 8-0085  
By Ms. Osborn 8-0085 - 8-0086  
By Mr. Poulin 8-0086 - 8-0090  
By Mr. Pearce 8-0090 - 8-0090  
Board Questions 8-0091 - 8-0093  
By Mr. Poulin 8-0093 - 8-0094

PAUL FENDT, P.E.

By Mr. Reavis 8-0099 - 8-0132  
By Ms. Osborn 8-0132 - 8-0149  
By Mr. Poulin 8-0149 - 8-0163  
By Mr. Reavis 8-0164 - 8-0167  
Board Questions 8-0167 - 8-0168  
By Mr. Poulin 8-0169 - 8-0171  
By Mr. Reavis 8-0171 - 8-0173  
By Ms. Osborn 8-0174 - 8-0174

STEVEN SWENSON

By Mr. Reavis 8-0175 - 8-0177  
By Ms. Osborn 8-0178 - 8-0185

**AR 056387**

JOSEPH BRASCHER

By Mr. Reavis 8-0186 - 8-0203  
By Ms. Osborn 8-0203 - 8-0206  
By Mr. Reavis 8-0206 - 8-0206

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

<u>NUMBER</u>	<u>DESCRIPTION</u>	<u>IDENTIFIED</u>	<u>ADMITTED</u>
1247	Letter to FAA	82	
0266	Letter to FAA from NMFS	82	
1175	Excerpt from the BA	42	

**AR 056388**

1 March 27, 2002

2 Day 8

3 <<< >>>

4 MS. COTTINGHAM: We will go on the record.

5 We left off with just beginning the  
6 cross-examination of Mr. Smith by ACC.

7 MS. OSBORN: Thank you. I just have a few  
8 questions for Mr. Smith.

9  
10 **KEITH SMITH**, having been previously sworn  
11 testified as follows:

12  
13 EXAMINATION

14 BY MS. OSBORN:

15 Q Could you take a look at the blue volume below you  
16 there, No. 2, and Exhibit No. 578.

17 Is this the water right application that the Port  
18 of Seattle filed with the Department of Ecology?

19 A Yes, it is.

20 Q This is a water right application seeking a change or  
21 adding a purpose of use to the Tyee Golf Course well;  
22 is that correct?

23 A That's correct.

24 Q And the purpose of use that you are adding is proposing  
25 to add a flow augmentation for Des Moines Creek; is

**AR 056389**

1           that correct?

2   A       That's correct.

3   Q       If you look at the previous exhibit in this, Exhibit  
4           No. 577, is this the letter from the Port that  
5           accompanied the application?

6   A       Yes, it is.

7   Q       And this indicates that it's the Port's intent to add  
8           flow augmentation for Des Moines Creek as a purpose of  
9           use in the water right; is that right?

10  A       That's correct.

11  Q       And at the time that this was filed, the Port was  
12           proposing for low-flow augmentation the maintenance of  
13           1 cfs, 1 cubic foot per second, flow in Des Moines  
14           Creek; is that right?

15                   MR. PEARCE:  I would object to this line of  
16           questioning, Ms. Cottingham.  ACC has not even called  
17           Mr. Smith, listed him as a witness, and it's beyond the  
18           scope of his direct.

19                   MS. OSBORN:  Actually, we have Mr. Smith  
20           listed on our final witness list.

21                   MS. COTTINGHAM:  I'm going to allow the  
22           questioning.

23  A       The intent when this letter was sent was that both the  
24           Port and the basin plan committee was going to --

25  Q       Mr. Smith, I asked you a yes-or-no question.  I would

1 appreciate a yes-or-no answer.

2 A Okay. Could you repeat the question, please.

3 MR. PEARCE: I would object to counsel  
4 coaching the witness. If it's not appropriate for a  
5 yes-or-no answer, he can answer the question  
6 completely.

7 MS. OSBORN: I believe the protocol here has  
8 been if I ask a yes-or-no question, that is simple  
9 enough anyway, that's the answer I'm entitled to.

10 MS. COTTINGHAM: Why don't you restate the  
11 question, and you can bring out anything on  
12 cross-examination.

13 Q (By Ms. Osborn) Is it correct that at the time that  
14 this water right was submitted, the Port's low-flow  
15 augmentation proposal as a component of its section 401  
16 application, was to maintain a 1 cfs flow in Des Moines  
17 Creek?

18 A No, I do not believe that is correct.

19 Q Well, let's take a look at the September 2000 low-flow  
20 augmentation plan. That's Exhibit 681, which is in  
21 volume 3 of your ACC exhibits.

22 MR. LYNCH: I'm sorry. Can you say the  
23 number of the exhibit again.

24 MS. OSBORN: 681.

25 Q (By Ms. Osborn) Is this the Port's Des Moines Creek



1 flow augmentation plan?

2 A It's the preliminary design report for the flow  
3 augmentation plan, dated September 2000.

4 Q And if you look over at page 2-1, down in the middle of  
5 the second paragraph, it says, the system will be  
6 programmed to maintain creek flows of 1 cubic feet per  
7 second at the monitoring station; is that correct?

8 A That's correct.

9 Q And this was the flow augmentation plan that was  
10 submitted or the preliminary design that was submitted  
11 to Ecology in support of the Port's 401 certification;  
12 is that correct?

13 A I don't recall if this was submitted in support of the  
14 401.

15 Q Who would know this, if you don't know?

16 A I just can't recall right now if this was part of the  
17 401 or not.

18 Q So this might have been prepared for some other  
19 purpose?

20 A The purpose was to --

21 Q Would this have been prepared for some other purpose?

22 A No, I don't think so.

23 Q Now, in this September 2000 design plan, it states  
24 there at that point you are talking also possibly about  
25 using Seattle Public Utilities' water; is that right?

1 A There were several options that we went through for a  
2 source of water for low-flow augmentation.

3 Q And Seattle Public Utilities' water was one of them; is  
4 that right?

5 A That's correct.

6 Q At this point, the Tyee Golf Course well was cited as  
7 an alternative or possible backup supply; is that  
8 right?

9 A That's correct.

10 Q Then if we go back in time, the 1998 low-flow proposal  
11 from the Port also proposed a 1 cfs, a maintenance of a  
12 1 cfs flow in Des Moines Creek; is that right?

13 A I believe the target flow for Des Moines Creek for  
14 mitigating all impacts throughout the basin was 1 cfs.

15 Q And wasn't that 1 cfs target incorporated into the 1998  
16 section 401 certification that was issued for the Port  
17 and then later withdrawn?

18 A It might have been. I don't recall specifically.

19 Q Let's have you take a look at Exhibit 1104, and look at  
20 page 7.

21 A Page 7?

22 Q Yes.

23 MS. COTTINGHAM: Why don't you wait for us to  
24 catch up.

25 MS. OSBORN: You bet.

**AR 056393**

1 MS. COTTINGHAM: Page 7, did you say?

2 MS. OSBORN: That's correct.

3 Q (By Ms. Osborn) Looking at paragraph D4a, second bullet  
4 down, does it say there that flow augmentation shall be  
5 implemented whenever streamflows in Des Moines Creek at  
6 a certain spot drop below 1.0 cubic feet per second?

7 MR. PEARCE: Objection. Lack of foundation.  
8 And I don't know if this witness has even seen this.

9 MS. COTTINGHAM: Do you want to lay a  
10 foundation.

11 Q (By Ms. Osborn) Please take a look at the front page of  
12 this document.

13 Is this the section 401 decision that was submitted  
14 to the, was issued to the Port of Seattle for the third  
15 runway project?

16 A This document was prepared before my involvement in the  
17 project and before my employment with the Port, so I  
18 would have to read it to know what it is.

19 Q Okay. Fair enough.

20 So it was the December 2000 low-flow plan that was  
21 the first plan that was issued by the Port that  
22 indicated the stormwater might be a source of water; is  
23 that right?

24 A I believe that's correct.

**AR 056394**

25 Q And it was also at that point that the Port started

1 conducting this low-flow analysis in the three  
2 different streams --

3 MR. PEARCE: Do you need these anymore?

4 MS. OSBORN: No.

5 Q (By Ms. Osborn) It was at that point in time that the  
6 Port conducted a low-flow analysis and determined that  
7 the flow target that it would utilize for flow  
8 augmentation would be significantly less than  
9 maintaining that 1 cfs; is that right?

10 MR. PEARCE: Objection. Vague. The word  
11 significantly has no meaning.

12 Q In other words, would be less than the 1 cfs in Des  
13 Moines Creek; is that right?

14 A I believe that's a correct statement.

15 MS. OSBORN: That's all I have.

16 MS. COTTINGHAM: Mr. Poulin?

17 MR. POULIN: Yes.

18

19 EXAMINATION

20 BY MR. POULIN:

21 Q Good morning, Mr. Smith.

22 A Good morning.

23 Q I'm Rick Poulin on behalf of CASE.

24 In your prefiled testimony -- incidentally, did you  
25 write that testimony?

**AR 056395**

1 A I reviewed it and signed it.

2 Q You didn't write it?

3 A I did not write it.

4 Q Who did write it?

5 A I don't know; one of the attorneys.

6 Q You don't know who wrote your prefiled testimony?

7 A Not specifically, no.

8 Q In that testimony, you state that the Port's NPDES  
9 permit is a BMP-based permit?

10 A That's correct.

11 Q And, consequently, the purpose of the stormwater  
12 monitoring undertaken is to determine the effectiveness  
13 of the BMPs?

14 A That's correct.

15 Q You use the phrase BMP-based permit. The permit  
16 doesn't use that phrase, does it?

17 A No, I do not believe that phrase is in the permit  
18 language.

19 Q But you are familiar with the permit itself?

20 A Yes, I am.

21 Q That's Exhibit 3.

22 On page 51 of Exhibit 3, the Port's NPDES permit  
23 includes special condition G6.

24 MS. COTTINGHAM: Can you tell us what page  
25 again.

**AR 056396**

1 MR. POULIN: Page 51 of Exhibit 3, special  
2 condition G6.

3 Q (By Mr. Poulin) Now, that condition states nothing in  
4 the permit shall be construed as excusing the permittee  
5 from compliance with any applicable federal, state or  
6 local statutes, ordinances or regulations.

7 Did I read that correctly?

8 A Yes, you did.

9 Q Are you familiar with that provision?

10 A Yes, I am.

11 Q And are you familiar with the permit fact sheet as  
12 well?

13 A Yes, I am.

14 Q That is Exhibit 136.

15 Now, with reference to that special condition G6 --

16 MS. COTTINGHAM: What page in Exhibit 136, or  
17 have you gone to a page yet?

18 MR. POULIN: That's page 35.

19 Is 136 the fact sheet?

20 MS. COTTINGHAM: Yes.

21 Q (By Mr. Poulin) It explains there that condition G6  
22 prohibits the permittee from using the permit as a  
23 basis for violating any laws, statutes or regulations.

24 Are you familiar with that?

**AR 056397**

25 A I'm not sure which paragraph you are reading.

1 Q That's at the bottom of the page, general conditions.  
2 It's four lines up from the bottom, condition G6  
3 prohibits the permittee from using the permit as a  
4 basis for violating any laws, statutes or regulations.

5 MS. COTTINGHAM: We're not in the same  
6 document or the same page as you are.

7 MR. JENSEN: Page 36, I have that.

8 MS. COTTINGHAM: We only have excerpts from  
9 the fact sheet.

10 Q (By Mr. Poulin) If you look at page 36 of that exhibit,  
11 you'll see, midway down the paragraph on page 36, is  
12 that same language; condition G6 prohibits the  
13 permittee from using the permit as a basis for  
14 violating any laws, statutes, or regulations.

15 Do you see that?

16 A I see that, yes.

17 Q So the permit fact sheet doesn't use the phrase  
18 BMP-based permit either, does it?

19 A Not to my knowledge, no.

20 Q Now, you testified about the purpose of monitoring.  
21 Would you please turn to page 29 of the fact sheet.

22 That's Exhibit 136, again.

23 MS. COTTINGHAM: Which page?

24 MR. POULIN: 29.

25 Q For context, you'll note that on page 28, the fact

**AR 056398**

1 sheet is talking about stormwater and toxic pollutants.

2 Do you see that?

3 A Yes, I do.

4 MR. PEARCE: Could we take a look at that  
5 original, because we have the odd numbered pages.

6 Q And there's a reference to the August 1996 EPA interim  
7 approach to stormwater.

8 Do you see that?

9 A Yes, I do.

10 Q So now on the top of page 29, do you see that the fact  
11 sheet states that, the interim permitting approach uses  
12 best management practices, BMPs, in first round  
13 stormwater permits and expanded or better tailored BMPs  
14 in subsequent permits were necessary to provide for the  
15 attainment of water quality standards.

16 So the purpose of BMPs is to provide for the  
17 attainment of water quality standards; isn't that  
18 right?

19 A That's what it says here.

20 Q Incidentally, the Port's NPDES permit is not a first  
21 round stormwater permit, is it?

22 A I don't know if it is or not.

23 Q Isn't it true that BMPs must be applied to prevent  
24 violations of water quality standards?

25 A No, not necessarily.

**AR 056399**



1 Q Are you familiar with the regulations governing BMPs?

2 A Generally familiar.

3 Q I have a section of the Washington Administrative Code,  
4 and if you will look to section 3(d), you will see a  
5 sentence stating that the activities which cause  
6 pollution of stormwater shall be conducted so as to  
7 comply with the water quality standards.

8 You weren't familiar with that provision?

9 A Not specifically.

10 Q That is Washington Administrative Code section  
11 173-201A-160 sub (3) (d).

12 It further states that the consideration and  
13 control procedures in subsection (b) and (c) apply to  
14 the control of pollutants in stormwater.

15 Do you see that?

16 A I don't see where you are reading that. What paragraph  
17 are you reading that from?

18 Q That's the last sentence of subpart (3) (d).

19 A Okay. I see that, yes.

20 Q Then looking up to that subsection (b) it states, best  
21 management practices shall be applied so that when all  
22 appropriate combinations of individual best management  
23 practices are utilized violation of water quality  
24 criteria shall be prevented.

25 A I see that.

**AR 056400**

1 Q So would you agree that the intent is that BMPs shall  
2 prevent violations of water quality criteria?

3 MR. PEARCE: Objection. Lack of foundation.  
4 I'm not sure that the witness knows what the intent of  
5 Ecology was when this rule was implemented.

6 MR. POULIN: Well, the witness has signed a  
7 statement which claims that the purpose of BMPs is just  
8 really something other than the attainment of water  
9 quality standards, and I'm exploring his knowledge of  
10 what his understanding of the law was when he made that  
11 statement.

12 MS. COTTINGHAM: I'll allow the questioning.

13 MR. PEARCE: I do disagree with Mr. Poulin's  
14 characterization of what the witness testified to.

15 Q (By Mr. Poulin) Is that your understanding?

16 A I'm sorry. Could you repeat the question again.

17 Q Is it your understanding that BMPs shall be applied so  
18 as to prevent violation of water quality criteria?

19 A That's what this says.

20 Q You've also stated that what is required to comply with  
21 the Port's permit is to implement and monitor BMPs.

22 That's part of your prefiled testimony, isn't it?

23 A I believe so, yes.

24 Q The permit monitoring requirements apply to discharges,  
25 don't they?

**AR 056401**

1 A The monitoring requirements for the permits do monitor  
2 the discharges. That's correct.

3 Q And as a matter of usage, what you are monitoring is  
4 discharges, not BMPs; isn't that right?

5 A What we're monitoring is the stormwater coming off the  
6 Port's sites at points that allow us to characterize  
7 those discharges.

8 Q Looking at the fact sheet once again on page 29, the  
9 second sentence of that provision states, the  
10 stormwater permit should include a coordinated and  
11 cost-effective monitoring program to gather necessary  
12 information to determine the extent to which the permit  
13 provides for attainment of applicable water quality  
14 standards and to determine the appropriate conditions  
15 or limitations for subsequent permits.

16 Do you see that?

17 A Yes, I do.

18 Q So the purpose of monitoring is to determine the extent  
19 to which the permit provides for the attainment of  
20 applicable water quality standards; isn't that right?

21 MR. PEARCE: Objection. Lack of foundation  
22 as to whether this fact sheet is some sort of  
23 implementable regulation or not.

**AR 056402**

24 MR. POULIN: The fact sheet describes the  
25 permit and Ecology's approach in interpreting the

1 permit, and the permittee is assumed to be familiar  
2 with its terms and requirements.

3 MS. COTTINGHAM: I'll allow the question. Do  
4 you want to restate your question.

5 Q (By Mr. Poulin) So would you agree that the fact sheet  
6 describes the purpose of stormwater monitoring as  
7 determining the extent to which the permit provides for  
8 the attainment of applicable water quality standards?

9 A Yes, I would agree with that.

10 Q And, then, the third sentence there, it states that,  
11 such a monitoring program may include ambient  
12 monitoring and receiving water assessment, and it  
13 continues on.

14 Do you see that?

15 A Yes, I do.

16 Q And the Port's previous NPDES permit did require a  
17 receiving water assessment, didn't it?

18 A I'm not familiar with the permit that preceded this  
19 one.

20 Q But you are familiar with the receiving water  
21 assessment that was performed?

22 A Yes, I've seen that report.

23 Q That is the exhibit that was discussed during your  
24 direct testimony yesterday, Exhibit 426?

**AR 056403**

25 A Yes. Exhibit 426 is the Stormwater Receiving

1 Environment Monitoring Report.

2 Q And this June of 1997 Stormwater Receiving Environment  
3 Monitoring Report was conducted to satisfy a specific  
4 requirement of the Port's NPDES permit, wasn't it?

5 A I'm assuming it was. Again, I'm not familiar with the  
6 specifics of the NPDES permit prior to the current one.

7 Q But you are familiar with this report?

8 A That's correct.

9 Q And doesn't this report state in the executive summary  
10 that special condition S8 of the department requires a  
11 report evaluating the impact of stormwater flow from  
12 the airport to Miller and Des Moines Creek?

13 MS. COTTINGHAM: Can you get us to where you  
14 are reading from before you ask the question.

15 MR. POULIN: Sure. It's small Roman numeral  
16 page 8. It's the first page of the executive summary,  
17 of Exhibit 426, third paragraph in the introductory  
18 section.

19 Q (By Mr. Poulin) So this report was prepared pursuant to  
20 a requirement in the Port's NPDES permit; isn't that  
21 right?

22 A According to this language, that's correct.

23 Q In fact, the Port wrote this report, didn't it?

24 A I'm not sure who wrote the report.

**AR 056404**

25 Q Well, it was submitted to Ecology by the Port?

1 A It says Port of Seattle on the title page, so I would  
2 assume someone at the Port wrote it.

3 Q And this was based on instream monitoring, wasn't it?

4 A That's correct, as far as I know.

5 Q The report explains on small Roman numeral page 10 of  
6 the executive summary that dissolved metal  
7 concentrations were monitored at stormwater outfalls  
8 and at locations upstream slash downstream of these  
9 discharges in Miller and Des Moines Creek; isn't that  
10 right?

11 A Yes, that's what that says.

12 Q The report shows where the monitoring was conducted,  
13 doesn't it?

14 A I'm sure it does.

15 Q There's a figure 1 following the executive summary.

16 MS. COTTINGHAM: And what page are you on  
17 now?

18 MR. POULIN: That's where page 2 would be.  
19 It's between pages 1 and 3.

20 Q (By Mr. Poulin) That's an overall map showing features,  
21 isn't it?

22 A Figure 1 shows the watersheds of Miller and Des Moines  
23 Creek.

24 Q Now, if you turn all the way back to what would be page  
25 29, you see figure 5?

**AR 056405**

1 A Correct.

2 Q And figure 5 shows instream sampling locations on Des  
3 Moines Creek, doesn't it?

4 A Figure 5 shows a Des Moines Creek schematic for loading  
5 estimates. It shows locations of contributions and  
6 features on the creek and discharges.

7 Q And the black dots, as explained on the left side, are  
8 instream sampling stations?

9 A That's correct.

10 Q And it shows sampling stations both above and below the  
11 Northwest Ponds on west the tributary?

12 A That's correct.

13 Q Incidentally, the Northwest Ponds are waters of the  
14 state, aren't they?

15 A I don't know if they are waters of the state or not.

16 Q But SDS 3 flows into the Northwest Ponds?

17 A That's correct.

18 Q On page 33, doesn't this report state that  
19 concentrations of total recoverable copper in ambient  
20 waters downstream of the stormwater discharges  
21 generally exceeded both the EPA and state acute  
22 criteria?

23 A That's what that statement says.

24 Q And, specifically, if you look at page 38 in the  
25 discussion of copper, this report states at Des Moines

**AR 056406**

1 Creek dissolved copper concentrations were highest in  
2 samples from the stormwater outfalls, particularly SDS  
3 345, 45.5 micrograms per liter.

4 A Yes, that's what that says.

5 Q Now, if we look to page 39, we'll see the summary table  
6 23 of dissolved metal concentrations in Des Moines  
7 Creek.

8 Now, these reports of the metals concentrations in  
9 the outfall stations report all the outfall stations,  
10 don't they?

11 A I'm not sure if this includes all the Port's outfalls  
12 or not.

13 Q It states all the outfalls are presumably on Des Moines  
14 Creek.

15 MR. PEARCE: Objection. Calls for  
16 speculation.

17 MS. COTTINGHAM: Do you want to lay a  
18 foundation for your question.

19 Q (By Mr. Poulin) This is a table reporting the summary  
20 of dissolved metal concentrations in Des Moines Creek,  
21 isn't it?

22 A That's correct.

23 Q And the second row, in bold, is titled, "Dissolved  
24 Metal Concentrations in Outfall Stations Combined."

25 A That's correct.

**AR 056407**



1 Q Now, the median number there, 25.95.

2 MS. MARCHIORO: Objection. Vague.

3 Q The median number in the second column for copper,  
4 29.95.

5 A I see that.

6 Q That's significantly higher than the acute criteria of  
7 4.64.

8 MR. PEARCE: Objection. No foundation as to  
9 what the acute criteria is. We all know it's  
10 hardness-directed.

11 MS. COTTINGHAM: Sustain the objection.

12 MR. POULIN: I'll be happy to lay a  
13 foundation. I'll object to the testimony.

14 Q (By Mr. Poulin) This table reports the acute criteria  
15 that was calculated using the hardness data as 4.64,  
16 doesn't it?

17 MR. PEARCE: Objection. Lack of foundation.

18 MS. COTTINGHAM: Sustained.

19 MR. POULIN: Well, the foundation for  
20 hardness has previously been laid and is explained in  
21 the report.

22 Q (By Mr. Poulin) You are familiar with that, aren't you?

23 A I'm sorry. Could you repeat that.

24 Q Are you familiar with this report and its calculation  
25 of hardness?

**AR 056408**

1 A I'm generally familiar with the report and the hardness  
2 monitoring data.

3 Q And the report used instream samples to determine  
4 hardness?

5 A I believe that's correct.

6 Q And they generated an acute criteria based on that  
7 hardness of 4.64?

8 MR. PEARCE: Objection. No foundation as to  
9 whether any acute criteria were generated.

10 MR. POULIN: This table is labeled acute  
11 criteria. I don't understand why a foundation would be  
12 necessary.

13 There's three places where this table states acute  
14 criteria and in the copper column 4.64.

15 MS. COTTINGHAM: I'll allow the question.

16 MR. PEARCE: I'm not sure whether the  
17 witness... Okay.

18 Q (By Mr. Poulin) Do you see that?

19 A I see on the table where it says acute criteria of 4.64  
20 in the copper column.

21 Q And this table shows dissolved metal concentrations in  
22 upstream receiving water exceeded the acute criteria,  
23 does it not?

24 5.19 is greater than 4.64?

25 A Yes. It shows the median 5.19.

**AR 056409**

1 Q And the median of the dissolved metals in the outfall  
2 stations for copper is 25.95, isn't it?

3 A That's what this table states.

4 Q Then downstream, the median for copper is 6.66?

5 A That's correct.

6 Q That's both higher than the acute criteria and higher  
7 than the upstream value, isn't it?

8 A That's correct.

9 Q Now, let's turn back to the fact sheet. If you look at  
10 page 31 of the fact sheet.

11 MS. COTTINGHAM: Which exhibit?

12 MR. POULIN: Exhibit 136.

13 MR. JENSEN: Which page, please?

14 MR. POULIN: Page 31, second paragraph.

15 Q (By Mr. Poulin) In the center of that paragraph, the  
16 fact sheet states that the updated SWPPP, or Stormwater  
17 Pollution Prevention Plan, will need to address the  
18 copper, lead and zinc in stormwater discharges from  
19 SeaTac Airport; is that right?

20 A Yes, I see that sentence.

21 Q Now, you testified that you managed the NPDES permit?

22 A I provide general oversight and supervision to the  
23 staff that manage the permit.

24 Q And that includes the implementation of BMPs?

25 A That's correct.

**AR 056410**

1 Q And the BMPs are required by virtue of the permit  
2 condition that discusses the Stormwater Pollution  
3 Prevention Plan; isn't that right?

4 A I believe that's correct.

5 Q And that's permit condition S12?

6 A Yes. Condition S12 is a condition in the permit that  
7 requires implementation of a pollution prevention plan.

8 Q Now, you state in your testimony that the Port  
9 stormwater discharges receive additional treatment  
10 below the point of discharge?

11 A In many cases, that's true. Or in many cases, they  
12 receive additional treatments below the point in which  
13 the monitoring takes place.

14 Q You don't identify which outfalls you were discussing,  
15 do you?

16 A I don't think I specifically identified that in my  
17 testimony.

18 Q Do you believe that statement is true with respect to  
19 SDS 3?

20 A Yes, I do.

21 Q What BMP exists downstream of the monitoring point at  
22 SDS 3?

23 A Downstream of the monitoring point in SDS 3, there is a  
24 vegetated swale before the water reaches the Northwest  
25 Ponds. I believe that vegetated swale provides

1 additional treatment.

2 Q There is no mention of that vegetated swale in the  
3 Stormwater Pollution Prevention Plan, is there?

4 A I don't recall if it's mentioned or not.

5 Q There's no mention of that swale in the maintenance  
6 provisions for BMPs in the Stormwater Pollution  
7 Prevention Plan, is there?

8 A I don't think that it's mentioned in that section.

9 Q That swale was not identified in the summary of  
10 completed BMPs that we find in Exhibit 425, is it?

11 That's the Stormwater Prevention Pollution Plan.

12 A I don't believe that the SWPPP is meant to be an  
13 exhaustive or comprehensive list of every BMP that's  
14 implemented at the airport.

15 Q Now, you haven't provided any evidence to support your  
16 assertion that additional treatment takes place below  
17 the monitoring point of SDS 3, have you?

18 MR. PEARCE: Objection. Ask and answered.

19 MR. POULIN: That's a brand-new question,  
20 Your Honor.

21 Q (By Mr. Poulin) You have not provided any evidence to  
22 support your assertion, have you?

23 MS. COTTINGHAM: I'll allow the question.

24 A I haven't presented evidence of that, no.

25 Q Right. You have not provided any evidence. That's the

1 question.

2 You haven't quantified the effects of any such  
3 treatment, have you?

4 A No, I haven't.

5 Q And the downstream monitoring reflected in the 1997  
6 Stormwater Receiving Environment Monitoring Report took  
7 place beneath that vegetated swale, didn't it?

8 MR. PEARCE: Objection. Lack of foundation.  
9 We don't know what was there, and I don't know if the  
10 witness knows what was there in '95 when that work was  
11 done.

12 MR. POULIN: Your Honor, the chart in the  
13 1997 report plainly shows that the downstream sampling  
14 location was beneath the Northwest Ponds, which is in  
15 the waters of the state downstream of any conceivable  
16 vegetated channel or swale that has been alluded to.

17 MS. COTTINGHAM: I believe the witness  
18 answered that he didn't know whether it was waters of  
19 the state, so if you want to lay a foundation first.

20 Q (By Mr. Poulin) Have you walked downstream from SDS 3?

21 A Yes, I have.

22 Q And you are familiar that the channel from SDS 3 flows  
23 into the Northwest Ponds?

24 A Yes.

25 Q There's no engineered BMP that the point, is there?

**AR 056413**

1 A I'm not sure what you mean by engineered BMP.

2 Q The Port hasn't created a swale, according to the  
3 specifications of the stormwater management manual?

4 A I'm not sure how that swale was created. I'm not sure  
5 if it's natural; I'm not sure if it's vegetated or  
6 built.

7 Q Have you ever participated in any management of that  
8 swale?

9 A Personally, no.

10 Q Are you aware of any management that's ever taken place  
11 to make sure that swale is properly functioning?

12 A I'm not aware if maintenance has or has not taken place  
13 in that swale.

14 Q Looks a lot just like a creek, doesn't it?

15 A The portions I've seen look like a natural creek.

16 Q And that swale is above the Northwest Ponds, isn't it?

17 A It's upstream of the Northwest Ponds.

18 Q It's above the monitoring location identified in the  
19 1997 report, isn't it?

20 A It's above the downstream monitoring point, as  
21 indicated on that drawing.

22 Q Thank you.

23 And the Port doesn't monitor its discharges beneath  
24 that swale, does it? **AR 056414**

25 A It's not a requirement of the NPDES permit. I believe

1 that there have been several studies that have  
2 monitored below that, but it's not a specific  
3 requirement of the permit.

4 Q Have you reviewed those studies?

5 A I'm aware of them, in a very general term or sense.

6 Q You don't have any basis for asserting that swale  
7 reduces the contaminants contained in the SDS 3 runoff  
8 between the SDS 3 monitoring point and the lower point  
9 where those studies were conducted, do you?

10 A I don't have any specific data that shows that there is  
11 improvement of water quality by that swale; however, I  
12 have never seen a vegetated swale that hasn't provided  
13 some sort of improvement in water quality or treatment.

14 Q SDS 3 exists at a point in the stormwater system that's  
15 beneath the filter strips at the runway?

16 A The monitoring point for SDS 3 is below or downstream  
17 of the filter strips; correct.

18 Q So the water leaving the runway runs across the filter  
19 strips, works its way down to SDS 3?

20 A That's correct.

21 Q Then flows out through this vegetated swale?

22 A That's correct.

23 Q Are you familiar with a provision in Ecology's new  
24 stormwater management manual for Western Washington  
25 that discusses basic biofiltration swales?

**AR 056415**



1 A That document is a very large document, and I've  
2 reviewed it in very general terms. I can't recall now  
3 any specific provision.

4 Q There's a provision that states that - and this is on  
5 page 9-2 - swales downstream of devices of equal or  
6 greater effectiveness can convey runoff, but should not  
7 be expected to offer a treatment benefit.

8 A I don't have that document in front of me, so I don't  
9 know what it says or doesn't say.

10 Q It's Exhibit 1266, page 9-2, towards the back.

11 MS. COTTINGHAM: What volume?

12 MR. POULIN: It's in volume 5. Runoff  
13 treatment BMPs. Are we all there?

14 Q (By Mr. Poulin) Do you see the sentence now in  
15 limitations, swales downstream of devices of equal or  
16 greater effectiveness can convey runoff, but should not  
17 be expected to offer a treatment benefit?

18 A I see that statement.

19 Q Doesn't that statement suggest that the swale at SDS 3,  
20 which is downstream of filter strips, should not be  
21 expected to offer a treatment benefit?

22 A That's what it says, but I'm not sure that I agree with  
23 it.

24 Q Now, with respect to the stormwater management manual  
25 for Western Washington, I'd like to direct your

**AR 056416**

1 attention to a condition in the permit. That's Exhibit  
2 3, permit condition S12, which you will find on page  
3 37.

4 Now, this condition states that the permittee is  
5 required to submit an updated Stormwater Pollution  
6 Prevention Plan to the Department at least twice during  
7 the term of the permit and, specifically, an updated  
8 SWPPP shall be submitted no later than November 30th,  
9 1998, and again with the application for permit renewal  
10 required in general condition G7.

11 Now, that second updated SWPPP has already been  
12 submitted along with the application for permit  
13 renewal; is that right?

14 A I believe that's correct.

15 Q Now, look at provision S12.B-5, which you will find at  
16 the top of page 39.

17 MR. REAVIS: Actually, it starts on the  
18 bottom of page 38 in my copy.

19 MR. POULIN: Yes.

20 Q (By Mr. Poulin) On the top of page 39, it states that  
21 BMPs shall be selected from the most recent published  
22 edition of the stormwater management manual, or other  
23 manuals determined to be equivalent by the Department,  
24 available at least 120 days before the selection of  
25 BMPs.

**AR 056417**

1 A Yes, I see that statement.

2 Q Now, the data selection of BMPs was the date that the  
3 SWPPP was submitted; isn't that right?

4 MR. PEARCE: Objection. Calls for a legal  
5 conclusion.

6 MR. POULIN: This witness has been testifying  
7 to legal conclusions all along, and it simply calls for  
8 an interpretation of the permit, which is what he does  
9 for his job.

10 MS. COTTINGHAM: Your question was the date  
11 submitted?

12 MR. POULIN: Yes. It involves the  
13 identification of BMPs.

14 MS. COTTINGHAM: Can you restate your  
15 question. I thought you were asking him a question  
16 about the date the permit was submitted.

17 Q The question involves the date that the updated SWPPP  
18 was submitted, and do you know when that date was?

19 A It was either in December of 2001 or January of 2002, I  
20 believe.

21 Q In fact, the Stormwater Pollution Prevention Plan has  
22 its date indicated as December 19th, 2001; isn't that  
23 right?

24 MR. PEARCE: Could you show us what you are  
25 referring to there, Counsel?

**AR 056418**

1 MR. POULIN: Sure. It's the exhibit. It's  
2 Exhibit 425, the second revision of the Stormwater  
3 Pollution Prevention Plan, dated December 12th, dated  
4 on its face December 2001 and signed on December 19th.

5 MS. COTTINGHAM: What exhibit are you in?

6 MR. POULIN: 425.

7 MS. COTTINGHAM: Mine says November '98. Am  
8 I in the wrong place?

9 MR. POULIN: No. That's the original date,  
10 and you will see there are two revised dates identified  
11 beneath that, two revision dates.

12 Q (By Mr. Poulin) So would you agree that this Exhibit  
13 425 is the updated, revised SWPPP that was submitted  
14 with the permit application in December?

15 A Yes, I would.

16 Q And would you agree that this SWPPP was submitted more  
17 than 120 days before the new Ecology stormwater  
18 management manual took place?

19 MR. PEARCE: Objection. No foundation.

20 MR. POULIN: We have had testimony, Your  
21 Honor, about the implementation date of Ecology's  
22 manual.

23 MS. COTTINGHAM: I'm going to sustain the  
24 objection. The legal interpretation of this particular  
25 sentence is one that the Board will make a

**AR 056419**

1 determination, what 120 days refers to.

2 MR. POULIN: Well, I'd like to question the  
3 witness concerning his understanding.

4 MS. COTTINGHAM: You may ask him questions.

5 Q (By Mr. Poulin) Isn't it true that in your  
6 understanding, the Port's next reissued NPDES permit  
7 will not have to comply with the new, Ecology's new  
8 stormwater management manual for Western Washington?

9 MR. PEARCE: Objection. Calls for  
10 speculation. He doesn't know what the Ecology is going  
11 to require on a permit that's not even been issued yet.

12 MR. POULIN: That issue is resolved by terms  
13 in the existing permit, which we just looked at.

14 MS. COTTINGHAM: You can ask him his  
15 understanding.

16 MR. POULIN: Thank you. Which is what I just  
17 did.

18 Q (By Mr. Poulin) Isn't it true that in your  
19 understanding, the Port's next reissued NPDES permit  
20 will not have to comply with Ecology's new stormwater  
21 management manual for Western Washington?

22 A I don't have an understanding of what the next NPDES  
23 permit will have to comply with.

24 MR. POULIN: No further questions.

25 MS. COTTINGHAM: Any redirect?

**AR 056420**

1 MS. MARCHIORO: No.

2 MR. PEARCE: Yes, very briefly.

3

4 EXAMINATION

5 BY MR. PEARCE:

6 Q Mr. Smith, would you look at Exhibit 1094, which is  
7 the --

8 MS. COTTINGHAM: What color is the binder?

9 MR. POULIN: It's Exhibit 3.

10 MR. PEARCE: It's also Exhibit No. 3, so you  
11 can look at either one of those.

12 MS. COTTINGHAM: Which I have in front of me.

13 Q Could you look at page 8 of 52.

14 MR. POULIN: This is the permit.

15 Q Would you identify that exhibit for us, Mr. Smith.

16 A This is the Port's current NPDES permit.

17 Q And on page 8 of 52, could you read us the first  
18 sentence under S1, starting "Compliance with."

19 A Compliance with this permit is deemed compliance with  
20 the Federal Water Pollution Control Act, also known as  
21 the Clean Water Act, 33 USC Section 1251 and the Water  
22 Pollution Control Act, RCW 90.48.

23 MS. COTTINGHAM: I thought you said we were  
24 on Exhibit 3.

**AR 056421**

25 MR. PEARCE: Did I misspeak? Did I turn to

1 the wrong exhibit? I'm in Exhibit 1024. I believe  
2 Mr. Poulin said it that Exhibit 3 is the same exhibit,  
3 which is the national pollution discharge elimination  
4 system and water discharge permit.

5 MS. COTTINGHAM: I'm not sure that 3 is the  
6 same, at least the pages aren't.

7 10, what did you say?

8 MR. PEARCE: 1094 is the one that I know is  
9 the correct document.

10 MS. COTTINGHAM: Page 8, did you say?

11 MR. PEARCE: Yes.

12 MS. COTTINGHAM: It's not the same as Exhibit  
13 3.

14 MR. PEARCE: Thank you, Your Honor.

15 MS. COTTINGHAM: Can you repeat your question  
16 so that we're all together.

17 Q (By Mr. Pearce) Could you read that sentence, which is  
18 the third sentence under paragraph S1 again for the  
19 Board, please.

20 A Compliance with this permit is deemed compliance with  
21 the Federal Water Pollution Act, also known as the  
22 Clean Water Act, 33 USC Section 1251, and the Water  
23 Pollution Control Act, RCW 90.48.

24 Q Thank you.

25 Mr. Poulin asked you some questions about Exhibit

**AR 056422**

1 426; do you recall that?

2 A Yes.

3 Q If I could find my copy, I'll ask you a question as  
4 well here.

5 Could you turn to page 33 of that document, please.

6 Does it show there when the stormwater samples were  
7 collected?

8 A Yes. It gives a list of specific dates for both Miller  
9 and Des Moines Creek showing when samples were  
10 collected.

11 Q What is the range of dates there?

12 A Like Miller Creek, December of '95 through December  
13 '96; Des Moines Creek from May of '96 through November  
14 of '97 or, excuse me, November of '96.

15 Q Have additional BMPs been -- well, let me ask you.  
16 When did you start your work at the Port of Seattle, at  
17 the airport?

18 A I started in September of 1999.

19 Q Do you know if additional BMPs have been installed at  
20 the airport since the dates of these samples?

21 A Yes. I believe some additional BMPs have been  
22 installed since then.

23 Q Would you look at the next page, the top of the page at  
24 page 34, top paragraph, what does that describe, if you  
25 are familiar with it?

**AR 056423**



1 A It describes how the samples were collected.

2 Q And I believe you told us yesterday how the samples  
3 were collected. Could you remind us what the  
4 average -- of the time periods over which the samples  
5 were collected and how they were averaged.

6 MR. POULIN: Objection. The reference to  
7 averaging assumes facts not in evidence.

8 MR. PEARCE: He testified to that yesterday,  
9 Your Honor. I believe a foundation was laid.

10 MS. COTTINGHAM: I'm going to allow the  
11 question.

12 A The samples were collected by a method called  
13 flow-weighted composites, where a series of samples are  
14 collected and then combined to show an average value  
15 for the constituents of concern over a specific storm  
16 event.

17 And as storm events vary in both intensity and  
18 duration, typical flow-weighted composite samples might  
19 reflect a time period in the range of, say, a half a  
20 day to several days.

21 MR. PEARCE: Thank you. That's all I have on  
22 redirect.

23 MS. COTTINGHAM: Any Board questions?

24 You are excused, Mr. Smith.

25 Go ahead and call your next witness.

**AR 056424**

1 MR. PEARCE: We call Dr. Charles Wisdom.

2

3 CHARLES S. WISDOM, Ph.D., having been first  
4 duly sworn upon oath or affirmed to tell the truth, the  
5 whole truth and nothing but the truth, testified as  
6 follows:

7

8 EXAMINATION

9 BY MR. PEARCE:

10 Q Good morning, Dr. Wisdom. Could you state your name  
11 and spell your last name, for the record.

12 A My name is Charles S. Wisdom. My last name is spelled  
13 W-i-s-d-o-m.

14 Q And what is your -- could you describe for us, briefly,  
15 your professional education.

16 A I have an associate of arts degree in biology from  
17 Orange Coast College; a bachelor of arts degree in  
18 biology from the University of California, San Diego;  
19 and doctorate in chemical ecology from the University  
20 of California, Irvine. I also did a three-year  
21 postdoctoral scholarship at the University of  
22 California, Los Angeles.

23 Q Did you submit written direct testimony in this matter?

24 A Yes, I did.

**AR 056425**

25 Q And is your curriculum vitae attached at tab A to your

1 testimony?

2 A Yes, it is.

3 MR. PEARCE: I would note for the record,  
4 Your Honor, that a copy of his resume is stipulated in  
5 Exhibit 1023.

6 Q (By Mr. Pearce) Could you, again, briefly tell us about  
7 your work history in water quality.

8 A Certainly. After completing my doctoral studies, I  
9 worked as a professor at the University of New Mexico,  
10 where I was responsible for conducting research into  
11 the impacts of natural and manmade chemicals on  
12 ecological processes, both in terrestrial and aquatic  
13 settings.

14 Following working at the University of Mexico, I  
15 moved to the Northwest and started working in areas  
16 of -- I established and ran a laboratory that did whole  
17 effluent toxicity testing. I actually established a  
18 laboratory and gained accreditation with the state of  
19 Washington.

20 Q Would you slow down a little bit so the court reporter  
21 will not throw things at us.

22 A So I established, created and ran an accredited  
23 laboratory, conducted whole effluent toxicity testing,  
24 and then also, the last six years working at **AR 056426**  
25 Parametrix, I've been involved in doing risk assessment

1 for aquatic systems and looking at the impacts of  
2 anthropogenic discharges from wastewater systems and  
3 from stormwater systems, and impacts on aquatic  
4 organisms and most particularly endangered species.

5 My familiarity with this particular project is I  
6 was an author on the biological assessment which  
7 received concurrence from the National Marine Fisheries  
8 Service in doing the toxicological analysis of  
9 stormwater discharge.

10 Q Thank you, Dr. Wisdom.

11 I don't want to go through everything in your  
12 testimony, but there's a couple of exhibits I would  
13 like to highlight.

14 Could you explain to the Board what whole effluent  
15 toxicity testing is.

16 A Certainly. Whole effluent toxicity testing is a  
17 process that was created by the U.S. Environmental  
18 Protection Agency and has been adopted by the  
19 Department of Ecology as a method for determining the  
20 toxicity of the whole effluent.

21 Its value in terms of determining the impact is a  
22 test of all the constituents that are present, rather  
23 than looking for any one individual constituent. It  
24 determines the complete mixture of materials that are  
25 present and what's being discharged and measures the

**AR 056427**

1 response of the organisms that are exposed over  
2 specific specified time periods for either determining  
3 acute mortality, whether the material causes death or  
4 chronic mortality, or chronic effects, whether it  
5 causes reduction in growth and survivorship.

6 Q What's your understanding of how it relates to water  
7 quality standards?

8 A It's part of the narrative standard in terms of  
9 determining, and the state of Washington has adopted as  
10 part of their NPDES permit process whole effluent  
11 toxicity testing to determine whether or not there's a  
12 need for assignment of effluent limits, for example,  
13 and also determine whether the effluent itself causes  
14 toxicity to the organisms that are representative of  
15 the receiving environment.

16 Q And without getting too technical, and I know that if  
17 you are talking to me, too technical comes pretty soon,  
18 but how does whole effluent toxicity testing measure  
19 the presence of contaminants in water?

20 How does it work?

**AR 056428**

21 A Okay. The material is collected, brought into the  
22 laboratory in a set time period and then put into a  
23 series of dilutions, so you first start off with the  
24 undiluted or the hundred percent effluent, and then  
25 create a series of dilutions into cups under controlled

1 environments where there's controlled temperature and  
2 lighting.

3 Then organisms are introduced into those  
4 environments, and then certain measurements are made  
5 daily to determine the response of either fish or  
6 invertebrates.

7 Q What, in your view, is the benefit of assessing the  
8 whole effluent?

9 A Again, it shows the response of the complete material  
10 that's being discharged to the environment, so  
11 oftentimes there can be interactions between chemicals,  
12 the effect can be greater than the sum of the whole, or  
13 it can be antagonistic, so whatever the levels of  
14 complexity, it shows the complete response to all the  
15 materials that are being discharged.

16 Q Can I ask you to look at Exhibit 1169.

17 A I have it.

18 Q Just to back up a little bit, do you know whether the  
19 Port of Seattle at the airport is required to conduct  
20 whole effluent toxicity testing?

21 A Yes. It is my understanding that they are.

22 Q And do you know what this exhibit is?

23 A This exhibit is a report of the stormwater whole  
24 effluent toxicity. This is a final report issued in  
25 May 2000.

**AR 056429**

1 Q Have you reviewed this report?

2 A Yes, I have.

3 Q Did you incorporate that review into the biological  
4 assessment you mentioned earlier?

5 A Yes, we did.

6 Q Could you identify Exhibit 1175 for us.

7 MR. PEARCE: For the record, I would say  
8 there are excerpts of the biological assessment in  
9 other exhibits, but I believe this is the full copy.

10 Q Could you identify this for us, please.

11 A Yes. This is the --

12 MR. POULIN: Your Honor, if we might hold for  
13 a moment. We may have a pending objection to this  
14 exhibit.

15 MS. COTTINGHAM: Why don't we stop the clock  
16 for a second.

17 MR. STOCK: Your Honor, ACC will object to  
18 this on the grounds of hearsay.

19 MS. COTTINGHAM: The burden shifts back to  
20 you according to our earlier...

21 MR. PEARCE: Thank you.

22 Q (By Mr. Pearce) Have you reviewed this document,  
23 Dr. Wisdom?

24 A Yes. I assisted in its preparation.

25 Q What portion did you assist in preparing, all of it or

**AR 056430**

1 just portions?

2 A I was responsible for editing the entire document. I  
3 was also responsible for personally writing several  
4 sections in chapter 7 related to the toxicological  
5 analysis of stormwater discharge done before it.

6 Q Was this document submitted to federal agencies?

7 A Yes, it was.

8 Q Is this the type of document you normally rely on in  
9 your professional practice?

10 A Certainly. It's a very complex biological assessment,  
11 but it's a very complex project.

12 MR. PEARCE: Move for the admission of 1175.

13 MR. STOCK: Well, with respect to the  
14 sections that Dr. Wisdom can point to that he wrote,  
15 they may be able to overcome the hearsay objection.  
16 But with respect to the balance of the document, it is  
17 still hearsay, and they are offering it to the prove  
18 the truth of the matter asserted in the document.

19 MR. PEARCE: That complies with the Board's  
20 hearsay rule. What it has to be to satisfy the Board's  
21 rule is it has to be the type of document that a  
22 reasonable person would rely on in the conduct of their  
23 affairs, and this is exactly that. **AR 056431**

24 This was the biological assessment prepared by the  
25 Federal Aviation Administration and Port of Seattle to



1 submit with respect to this project, to submit to the  
2 United States Fish and Wildlife Service and to the  
3 other federal agencies with respect to the stream  
4 impacts of this project.

5 It's the type of document that he relies on in the  
6 conduct of his affairs. The Board can give the  
7 sections what weight the Board believes they deserve.

8 MR. STOCK: Well, with respect to whether he  
9 can rely upon it as an expert or not doesn't get over  
10 the hearsay objection. I agree under the evidence  
11 rules that experts can rely upon evidence that would  
12 otherwise be inadmissible. That doesn't get over the  
13 fact that it's still hearsay.

14 It also doesn't matter that it was prepared by the  
15 FAA or the Port of Seattle. That's why it's hearsay.  
16 If there are sections of this document that Dr. Wisdom  
17 prepared and he can point to those sections and say,  
18 these are my words and I'm here to tell you these are  
19 my words, then they can overcome the hearsay objection  
20 with respect to those sections of the document, but  
21 with respect to the balance of the document, they are  
22 offering it to prove the truth of the matter asserted,  
23 and that's hearsay.

**AR 056432**

24 MR. PEARCE: It complies with the Board's --

25 MS. COTTINGHAM: I'm going to allow this in.

1 This is type of record that people usually rely on, and  
2 for that reason, I'm going to overrule the hearsay  
3 objection.

4 MR. PEARCE: Thank you, Your Honor. And I  
5 would ask if ACC would confine themselves -- I believe  
6 we stated that one attorney will do cross-examination  
7 of a witness and one attorney will put on a witness.

8 MR. STOCK: What's the problem there?

9 MS. COTTINGHAM: One per party. We asked to  
10 have the lead person.

11 MR. STOCK: Could we start clock again,  
12 please.

13 MS. COTTINGHAM: Stop the clock for a second.

14 I'm going to clarify my ruling. We're going to  
15 allow this in based on the fact that the Board  
16 generally relies on this type of evidence and based on  
17 the Board's rule for allowing this in.

18 MR. PEARCE: Thank you, Your Honor.

19 MS. COTTINGHAM: You can start clock now.

20 Q (By Mr. Pearce) Could you just briefly describe to us,  
21 Dr. Wisdom, the results of the whole effluent toxicity  
22 testing, and if you need to refer to the biological  
23 assessment and the discussion in there, feel free to.

24 A Thank you.

**AR 056433**

25 Q Actually, I believe it's in table 7-15, is it not?

1 A Yes. That's the one I would like to refer to page  
2 7-15, or excuse me, table 7-15 on page 7-25.

3 MR. POULIN: Which exhibit?

4 THE WITNESS: In 1175.

5 MR. LYNCH: Can you say the page number one  
6 more time.

7 THE WITNESS: It's 7-25.

8 MR. LYNCH: Thank you.

9 A You can see that this particular test goes through and  
10 has examined the stormwater outfalls on a series of  
11 dates for SDN 1, SDN 4, SDS 3 and SDE 4 using two  
12 different types of organisms.

13 It used the *Daphnia pulex*, which is a water flea.  
14 That's an invertebrate. Its importance, in part, is --  
15 it's actually one of the more sensitive organisms to  
16 metals. So it's considered one of the driver organisms  
17 for water quality criteria for metals, particularly  
18 copper.

19 The *Pimephales promelas* is a fish. It's a fathead  
20 minnow.

21 So both of these tests, you can see the durations  
22 were done for 48 hours and 96 hours. These are acute  
23 tests, and we can see going across the various columns  
24 of data that we have the NOEC, that's no observed  
25 effect concentrations, so that's the highest

**AR 056434**

1 concentration at which the effluent caused no effect to  
2 the exposed organisms.

3 So you can see, for example, with SDS 3, which is  
4 of importance, because this is the outfall for which  
5 currently, my understanding is, drains the runways, and  
6 is assumed to be of the same effluent quality as the  
7 future runways.

8 You can see there that the NOECs, the concentration  
9 of which there was no adverse effect on the organisms  
10 for either the water fleas or for the fat-heads was at  
11 a hundred percent. That's pure undiluted effluent that  
12 they were exposed to. And at the LOEC, the lowest  
13 observed effect concentration, was greater than 100  
14 percent, which is essentially saying that there is, the  
15 response of the animals in the unpure, undiluted  
16 effluent is identical to that of the control animals  
17 that are in pure laboratory water.

18 Q And were there some adverse results in SDN 1?

19 A Yes, there was. You can see that on three cases.

20 On March 24th, 1999, there was detectible toxicity  
21 for the fathead, and then also on two separate dates --  
22 excuse me. The '99 one I was referring to was for the  
23 water fleas. Then two days to the fathead minnows.

24 Q Do you know if the Port did any testing to see where  
25 that toxicity came from?

**AR 056435**

1 A Yes. They did source tracing and were able to identify  
2 that there was elevated zinc concentrations in the  
3 samples that were coming from a galvanized roof, and  
4 they have actually undertaken, through the course of  
5 having done the forensic bioassay testing been able to  
6 identify and undertake methods to start addressing how  
7 to reduce that.

8 Q And SDN 1 eventually goes to Lake Reba, doesn't it?

9 A Yes.

10 Q If I could switch gears a little bit, were you present  
11 during Dr. Strand's testimony?

12 A Yes, I was.

13 Q Did you hear him make reference to the Ontario sediment  
14 guidelines?

15 A Yes, I did.

16 Q Are you familiar with those guidelines?

17 A Yes, I am. I have reviewed them.

18 Q Does the state of Washington have any -- well, what do  
19 they talk about?

20 Are they more metals and sediments?

21 A Yes, they are, specifically freshwater. Freshwater  
22 sediments.

23 Q Does Washington have any freshwater sediment  
24 guidelines?

25 A Not at this time.

**AR 056436**

1 Q Has the scientific literature discussed those Ontario  
2 sediment guidelines?

3 A Yes. There's, basically, an outstanding criticism of  
4 the methods that were used to derive the Ontario  
5 sediments guidelines and the fact that they are taken  
6 from observations of organisms in the field that had  
7 multiple sources of contamination present in those  
8 sediments.

9 So consequently it's not possible to derive direct  
10 cause and effect relationships between what you've  
11 measured and the response of the organisms that are  
12 present or not present in those sediments.

13 Q Is it possible for metals and sediments -- well, why  
14 don't you explain to us how metals get bound in  
15 sediments.

16 A There's --

17 Q Without too much chemistry. Thank you.

18 A Well, the specific concept is that the sediments  
19 themselves typically have a negative charge, and the  
20 metals that we're dealing with here are positively  
21 charged, so they form an ionic bond, and they will  
22 equilibrate into what's referred to as the interstitial  
23 pore water, but also present in the interstitial pore  
24 water can be the acid volatile sulfide, which is  
25 basically a decomposition product from organic matter.

1           So sediments that have organic matter as they  
2 decompose, they release sulfur that has become  
3 sulfides. The sulfides bind with those metals. They  
4 are also negatively charged. They bind with positively  
5 charged metals and reduce their bioavailability, so  
6 consequently people now are measuring acid volatile  
7 sulfides at the same time as measuring metals  
8 concentrations to make a determination of whether those  
9 metals are bioavailable to the organisms in the  
10 sediments.

11 Q       And what does it take to redissolve those metals, get  
12 them out of the sediments and back into the stream in a  
13 dissolved state?

14 A       Well, first off, the metals concentrations that you  
15 measure are typically in equilibrium already in terms  
16 of what's in the water column versus what's in the  
17 sediments.

18           In order to do -- the resuspension, typically,  
19 would take relatively strong acid exposure, something  
20 probably on order of like a pH 3 or pH 2 in order to  
21 have a significant resuspension or resolving of that  
22 material.

23           You, basically, have to replace the metals where  
24 they are binding with the protons in the acidic  
25 material, so they have to competitively interact, so it

1 takes fairly strong acids in order to redissolve them.

2 Q Could you give us an idea of how common a pH 3 or pH 4  
3 is in streams in Western Washington.

4 A Very uncommon. Typically, the only time it would occur  
5 would be the result of some form of a spill.

6 Q Could you give us your opinion about whether these  
7 types of particle-bound metals can cause toxicity in  
8 fish.

9 A Dr. Strand alluded to, in his testimony, in my opinion,  
10 the fact that one source of toxicity could be that fish  
11 could consume particle-bound material, particularly  
12 that would be bound to organic material.

13 However, this is only a theoretical exposure  
14 pathway, and I was reviewing a recent paper that was  
15 published in 2001, and not a lot of evidence is  
16 available one way or the other to indicate this is a  
17 source of toxicity, but there was a recent publication  
18 that was brought to my attention, published in 2001,  
19 that showed that metals -- it was specifically a study  
20 of copper with rainbow trout -- that there was no  
21 discernible change in survivorship or growth --

22 MR. STOCK: Your Honor, I'm going to object  
23 to this testimony, because there's no foundation. He  
24 hasn't give the name of the reference that he's  
25 referring to.

**AR 056439**



1 MS. COTTINGHAM: Do you want to lay a  
2 foundation.

3 Q (By Mr. Pearce) Could you refer us to the study that  
4 you are discussing, Dr. Wisdom.

5 A It was a specific paper that was published in the  
6 Canadian Journal of Fisheries & Aquatic Sciences.

7 Q Do you recall the author?

8 A I'm afraid I don't.

9 MR. STOCK: Then I'll object to any further  
10 testimony on this.

11 MS. COTTINGHAM: I'm going to sustain that.

12 Q (By Mr. Pearce) You don't know when it was published?

13 A In 2001.

14 Q Is that journal published quarterly or annually?

15 A It's published monthly.

16 MR. STOCK: I have a continuing objection.  
17 There's no foundation. There's no way to cross-examine  
18 this witness unless a proper foundation is laid.

19 MS. COTTINGHAM: I'm going to sustain the  
20 objection.

21 MR. PEARCE: If I could ask one more  
22 question.

23 Q (By Mr. Pearce) Do you have a copy of that article?

24 A Yes, I do. In my car.

25 Q Perhaps we can get it after a break.

**AR 056440**

1 MS. COTTINGHAM: Perhaps we could.

2 Might this be a good time for a break?

3 MR. PEARCE: Yes, I think so.

4 MS. COTTINGHAM: While we are on the break,  
5 why don't you see if you can share the document.

6 MR. PEARCE: We'll get a copy somewhere.

7 MS. COTTINGHAM: We'll go off the clock and  
8 off the record. Why don't we come back at a quarter  
9 after 11.

10 (Recess taken.)

11 MS. COTTINGHAM: We are back on the record.

12 MR. STOCK: Ms. Cottingham, Dr. Wisdom did  
13 provide the reference, so I'll withdraw the objection.

14 MR. PEARCE: Thank you, Your Honor. Thank  
15 you, Mr. Stock.

16

17 EXAMINATION (Continued.)

18 BY MR. PEARCE:

19 Q Dr. Wisdom, do you have an opinion about whether  
20 particle-based metals can caused toxicity?

21 A Yes, I do.

**AR 056441**

22 Q What is that opinion?

23 A Based on the material that's been passed out by the  
24 Kamunde, et al. reference that concentrations as high  
25 as 1,000 micrograms per gram copper in dietary food

1 would not cause any effect on the growth or the  
2 survivorship or mortality of exposed rainbow trout.

3 Q Thank you.

4 I'd like to talk briefly about glycols. Has the  
5 EPA promulgated any water quality criteria for glycols?

6 A No, they have not.

7 Q How about the state of Washington, have they  
8 promulgated -- has the state promulgated any criteria?

9 A No, they haven't either.

10 Q Are glycols toxic themselves?

11 A Yes. But only at very high concentrations.

12 Q Are there other constituents in them?

13 A Right.

14 Q Let me re-ask that question. Why are glycols or  
15 de-icing agents a constituent of concern, then?

16 A They are a concern specifically because of their use  
17 for anti-icing and de-icing. The formulations that are  
18 used are typically around 40 to 50 percent glycol,  
19 either a propylene or ethylene glycol, and then another  
20 40 or 50 percent water.

21 And anywhere from about 1 to 10 percent can be a  
22 series of additives that increase their emulsion so  
23 that they will stick to the planes and so on, and it's  
24 the additives that are thought to contribute to the  
25 toxicity.

**AR 056442**

1 Q Are there are different types of glycol mixtures used  
2 for de-icing aircraft?

3 A Yes, there are. As I said, there's type I. Type I can  
4 be primary either ethylene glycol or propylene glycol.  
5 That's the primary compound used for de-icing. Then  
6 there's a type II and type IV that used for anti-icing.  
7 Those are applied to planes. They have a higher  
8 viscosity so that they will stick to the plane to  
9 inhibit the icing after the plane leaves the ground.

10 Q Which types are more toxic?

11 A The type II and type IV. The anti-icing compounds  
12 typically have a higher toxicity, about five to 20  
13 times more toxic than the type I.

14 Q And I believe you said you wrote chapter 7 of the  
15 biological assessment?

16 A Chapter 7, yes. The section dealing with ethylene  
17 glycol and propylene glycol, in particular.

18 Q Do you know what percentage of these different types of  
19 glycols are used at the Seattle-Tacoma International  
20 Airport?

21 A Yes. I'd like to refer to a specific page, if I may.

22 Q Certainly. It's in Exhibit 1175, in chapter 7  
23 somewhere. **AR 056443**

24 A Yes. It's on page 7-18 in Exhibit 1175, table 7-7.  
25 It's that little thin table at the top of the page.

1 Q If you would explain what types are used.

2 MR. JENSEN: What page are you on?

3 THE WITNESS: 7-18.

4 MR. JENSEN: Thank you.

5 Q (By Mr. Pearce) And which table are you referring to  
6 there?

7 A Table 7-7.

8 Q Is that at the very top of the page?

9 A Yes.

10 Q Could you tell us what the percentage of type I and  
11 type II and IV glycols are in use at the airport.

12 A You can see that approximately 99 percent of the  
13 glycols fall into the type I or anti-icing -- de-icing,  
14 excuse me, the de-icing formula. 4.1 percent is  
15 ethylene glycol, 94.8 propylene glycol, and the type II  
16 propylene glycol constitutes about .8 percent of the  
17 anti-icers that were applied, and type IV propylene  
18 glycol was .2 percent.

19 So combined, type II and type IV, approximately,  
20 make up 1 percent of all the de-icing/anti-icing fluids  
21 applied at the Seattle-Tacoma International Airport.

22 Q And this section of the biological assessment, you did  
23 all the work for; is that correct?

24 A That's correct. I was assisted with staff, but I was  
25 the primary author on this section.

**AR 056444**

1 Q Did you make any conclusion in here about the glycol  
2 impact to habitat in the area streams?

3 A Yes, we did.

4 Q What is that conclusion?

5 A The conclusion was that the concentrations of glycols  
6 that have been measured in the Miller and Des Moines  
7 Creek are below, significantly below those levels that  
8 are identified to cause mortality to exposed organisms,  
9 and you can see there in table 7-8, you can see where  
10 we reiterated data that was taken from the fluid  
11 manufacturers supplied to the EPA for the LC-50s.  
12 Those are values that will kill 50 percent of the  
13 animals that are exposed to that concentration, and you  
14 can see for type I and type II, they are very high.  
15 They are anywhere from 750 to 44,000 milligrams per  
16 liter.

17 Q And milligram --

18 A That's getting --

19 Q Go ahead, please.

20 A That's getting to the point where you are actually  
21 making up percentages of the water. That's very, very  
22 high.

23 Q Have you seen any glycol testing at the airport that is  
24 in those percentage ranges? **AR 056445**

25 A No. None of the data that has been presented to me was

1 anywhere near that range.

2 Q Have you reviewed the data submitted in this proceeding  
3 by ACC?

4 A I have.

5 Q Is it in that percentage range?

6 A No, not in the percentage. It's actually reported as  
7 total concentrations.

8 The data that I was presented at Dr. Strand's  
9 deposition, which was submitted then, showed that the  
10 propylene glycol, if I remember correctly, was 11  
11 milligrams per liter and 18 milligrams per liter on two  
12 separate dates. So that's orders of magnitude hundreds  
13 of times lower than the amount that would be reported  
14 here for the type I or type II in order to cause  
15 mortality for the exposed organisms.

16 Q Are you familiar with the Hartwell study relied on by  
17 Dr. Strand?

18 A Yes, I am. I read it several times.

19 Q Do you have any criticisms of that study?

20 A Yes. Hartwell attempted to do two things. First off,  
21 they reported experimental laboratory data, where they  
22 exposed fathead minnows, the same organisms we're  
23 talking about here, to different concentrations and  
24 observed, if I remember correctly, the numbers were 17  
25 milligrams per liter for type II propylene glycol and

1 250 milligrams per liter for type I ethylene glycol  
2 that caused lesions on the gills of the exposed fish.

3 Now, that's the experimental data that Hartwell can  
4 provide. Hartwell then went on to quote a different  
5 paper by a different author that he claimed showed that  
6 those levels caused toxicity, caused mortality, killed  
7 the animals that were exposed, but that citation was  
8 incorrect. It was off by a factor of a thousand, so  
9 rather than saying 1.9 to 8 milligrams per liter  
10 propylene glycol killed fish, actually the number  
11 should have been -- I have it in my direct testimony,  
12 the exact numbers. They were in the thousands.

13 Q The Board can read your direct testimony in the  
14 interest of time. Thank you.

15 A But I confirmed that by calling Dr. Fisher on the phone  
16 and spoke with him directly, and he confirmed to me  
17 over the phone; (1) he was unaware of Hartwell, so he  
18 actually he had to read it and call me back, and upon  
19 calling me back, he informed me that he had been cited  
20 incorrectly and the numbers were a thousand times  
21 higher.

22 So what Hartwell failed to do was establish any  
23 linkage between gill lesions and mortality.

24 Q Are you familiar with any EPA studies about de-icing  
25 agents?

**AR 056447**



1 A Yes, I am.

2 Q I'm sorry. Any EPA reports about de-icing.

3 A That's actually what I was referring to was their  
4 summary report.

5 Q And how many different studies did the EPA report in  
6 that?

7 A There's several hundred that are reviewed for toxicity  
8 to a wide variety of organisms.

9 Q And were those reports consistent with your conclusions  
10 in the BA?

11 A Yes, they were.

12 MR. PEARCE: I don't have any further  
13 questions. Thank you.

14 MS. COTTINGHAM: Mr. Young, do you have any  
15 questions?

16 MR. YOUNG: I do not.

17 MR. STOCK: I don't have any questions.

18 MS. COTTINGHAM: Mr. Poulin, do you have any  
19 questions?

20 MR. POULIN: Yes, I do.

21

22 EXAMINATION

23 BY MR. POULIN:

24 Q Good morning, Dr. Wisdom.

25 A Just barely.

**AR 056448**

1 Q Just barely.

2 Did you testify about your involvement in the  
3 biological assessment, which is Exhibit 1175?

4 A Yes, I did.

5 Q That assessment was performed to address concerns  
6 related to the Endangered Species Act; isn't that  
7 right?

8 A That's correct.

9 Q And the primary endangered species were chinook salmon  
10 and bull trout?

11 A That's right.

12 Q And isn't the current understanding discussed in the  
13 report that chinook salmon and bull trout used the  
14 mouth of Miller and Des Moines Creek?

15 A That is right. That is the conclusions of the  
16 biological assessment.

17 Q And so we see on page -- this question focuses on the  
18 level of copper at the mouth of the streams?

19 MR. PEARCE: Objection. Vague. I'm not sure  
20 what counsel is referring to.

21 Q Let's briefly look at page 7-22 of that exhibit, that  
22 biological assessment. That's 1175. It says copper  
23 concentrations at the mouth of Miller and Des Moines  
24 creeks are always below the brook trout copper toxicity  
25 value.

**AR 056449**

1 A That's right.

2 Q That was their primary concern is copper at the bottom  
3 of the basin?

4 A Right. Without exposure, there isn't any risk.

5 Q Now, you stated that you were involved both in the WET  
6 testing and in the preparation of this biological  
7 assessment?

8 A I was involved in reviewing the WET testing. I did not  
9 perform it.

10 Q But you were responsible for summarizing the WET  
11 testing in the BA?

12 A That's correct.

13 Q And you did so here on page 7-25, table 7-15?

14 A That's correct.

15 Q Now, this is not a table that you pulled out of the WET  
16 testing report, is it?

17 A This table was provided to me by the staff that  
18 actually had conducted the WET testing, so these were  
19 the staff members I was working with at Parametrix in  
20 preparation of the biological assessment.

21 Q And this discussion of the results of the WET testing  
22 in the BA, this does not identify the copper  
23 concentrations in the stormwater outfall, does it?

24 A No, it doesn't.

**AR 056450**

25 Q It doesn't discuss the number of samples conducted for

1 the WET test?

2 A Each one represents an individual sample, so each date  
3 there was a sample collected.

4 Q Well, let's look at the WET test itself, Exhibit 1169.

5 We've been there before, but please turn to page 13  
6 of the stormwater whole effluent toxicity final report,  
7 Exhibit 1169.

8 A I have it in front of me.

9 I'm sorry. Does the Board?

10 MR. PEARCE: I'm sorry. I may have  
11 misunderstood you. What page?

12 MR. POULIN: Page 13.

13 MR. PEARCE: Oh, sorry.

14 Q (By Mr. Poulin) This indicates that the tests for SDS  
15 3, the outfall below the runways, those tests were  
16 conducted on just two dates; isn't that right?

17 A That's right.

18 Q November 13th, 1998 and January 14th, 1999.

19 A The samples were collected on those dates.

20 Q It doesn't say how many samples?

21 A No, it does not. However, the testing methodology  
22 specifies the amount to be collected in order to be  
23 able to conduct a successful test.

24 Q And this doesn't report the concentration of the copper  
25 in the outfall discharge either, does it? **AR 056451**

1 A On those dates, no, it does not.

2 Q While we have that information, let's look at it.

3 Please turn to Exhibit 139. It's the 1999 annual  
4 stormwater monitoring report.

5 Once you find the 1999 report, please turn to the  
6 spreadsheet at page 109, and once there, you will see  
7 that the results of WET testing sample data for SDS 3  
8 are reported in the row at the center of the page.

9 Would you agree this spreadsheet indicates that the  
10 copper sample taken on November 13th, 1998 showed a  
11 value of 0.014?

12 A That's for the dissolved copper.

13 Q That's right.

14 And for the trace copper, it's 0.022.

15 A Total recoverable.

16 Q Total recoverable.

17 A The TR, I would interpret TR as total recoverable  
18 copper, yes.

19 Q Now, just comparing those two figures, does that  
20 indicate to you that more than half of that total  
21 recoverable copper was dissolved?

22 A Yes.

23 Q Now, those figures were not reported in either the WET  
24 report or in the biological assessment; is that right?

25 A That's right.

**AR 056452**

1 Q Now, let's look at the other sample date for SDS 3, and  
2 we'll find that in the year 2000 stormwater monitoring  
3 report, which is at Exhibit 1193.

4 And once you get to that report, the year 2000  
5 report, Exhibit 1193, please turn to page 98, which is  
6 another spreadsheet.

7 A Page 98, is that what you said?

8 Q Yes.

9 A It's blank in this exhibit.

10 MS. COTTINGHAM: It's blank in our exhibit,  
11 too.

12 MR. POULIN: Well, I hope that's not a  
13 problem. If it is --

14 MS. COTTINGHAM: It's been copied. It has  
15 page 98 on it.

16 MR. POULIN: Well, I am looking at page  
17 numbers that are very small and are on the right side  
18 of the page.

19 MS. COTTINGHAM: Ours are actually fairly  
20 big.

21 MR. POULIN: Okay. Then you'll need to  
22 scroll back into what would be the mid-60s. I see a  
23 page 86, and then the bottom page numbers disappear.

24 MS. COTTINGHAM: Okay. They look like they  
25 say 87.

**AR 056453**

1 MR. POULIN: If you crank your head a little  
2 to the right side, you will see tiny numbers in the  
3 middle of the right-hand side.

4 MS. COTTINGHAM: Now, what are we looking  
5 for, again?

6 MR. POULIN: We're looking for page 98. In  
7 the top, the upper right side, it says page 2 of 10.

8 MR. STOCK: Could we stop the clock while we  
9 do that?

10 MS. COTTINGHAM: You may.

11 It ends at it -- those little numbered pages end at  
12 94, and then it goes to 95, and it says appendix D, but  
13 it's a blank page and then 96 is blank. Then there's a  
14 little page that's 97.

15 MR. POULIN: Okay. We're in what would be  
16 appendix C, so that's confusing. The blank for  
17 appendix D says -- but we're earlier in the report than  
18 that, in what is appendix C.

19 I'm sorry. I misspoke. Apparently, appendix D  
20 starts at page 62. It's one of those reports with no  
21 tabs. I think we're in appendix B, yes, because  
22 appendix C is at 85, and we're before that.

23 MS. COTTINGHAM: Could we have made these  
24 numbers any smaller?

25 I've got a 97, or something 7.

**AR 056454**

1 MR. STOCK: Just for the record, this is a  
2 Port exhibit.

3 MS. COTTINGHAM: This says 4 of 11. What did  
4 you say at the top?

5 MR. POULIN: We want 2 of 10. I counted nine  
6 pages before the tab for appendix C that looks like  
7 page 85.

8 MS. COTTINGHAM: Nine pages before that?

9 THE WITNESS: It looks to me like it says 76  
10 at the bottom of that. It's 10-4-00.

11 MR. POULIN: Perhaps it does. You are quite  
12 right. It is 76, and in fact, that's what my notes  
13 say. I just read it wrong. Page 76, 2 of 10.

14 MR. PEARCE: For the record, those were  
15 Mr. Poulin's notes.

16 MS. COTTINGHAM: 2 of 10, is that what you  
17 said?

18 MR. POULIN: Yes.

19 MS. COTTINGHAM: Well, it's a miracle.

20 Q (By Mr. Poulin) In the upper left, it should say, all  
21 composite sample data.

22 A I'm sorry. I didn't hear that. Can you repeat it,  
23 please.

24 Q The heading in the first column is, all composite  
25 sample data.

**AR 056455**



1           Now, if we look all the way down to the bottom, the  
2           fourth to the last row -- and this is admitted, a long  
3           series of samples from SDS 3 -- you will see in the  
4           second column, SDS 3, 01-14-99, and that's the January  
5           14th, '99 sample for the WET test, and if we jump all  
6           the way to the far right, it says, concurrent WET NWER  
7           sample.

8   A    I see that.

9   Q    So if we look to the results of copper on that date, it  
10       says 0.023.

11   A    That's how I read it.

12   Q    So one might ask how representative are those copper  
13       concentrations when compared to the typical  
14       concentration of copper discharged at SDS 3, and if you  
15       will join me in looking to the latest annual stormwater  
16       monitoring report, which is Exhibit 6, you can find  
17       that comparative data.

18           And in the year 2001 report, please turn to page  
19       106. It should be much easier to find, page 2 of 6.

20           Now, to summarize so far, we've had -- from the  
21       1999 report of the November 13th sample, we had total  
22       recoverable copper of 0.022, and the year 2000 report  
23       shows 0.023; is that right?

24   A    I'll have to verify that. I've got to juggle all these  
25       things.

**AR 056456**

1 Q Have we found page 106?

2 A I'm sorry. You have to bear with me for a second while  
3 I juggle all these.

4 Q Sure.

5 A Okay. Which one did you want me to look at?

6 Q Now, look to page 106 of the latest annual stormwater  
7 monitoring report, Exhibit 6, the year 2001.

8 A Okay.

9 Q In this report is NPDES composite statistics from  
10 September 1st, 1994 through June 30th, 2001, and in the  
11 center column of SDS 3, would you agree that the count  
12 shows that there are 56 samples.

13 A 56? I'm sorry. I'm not sure I'm looking at the right  
14 one.

15 Q Nevermind that question. Let's look to the copper,  
16 which is the third column from the right.

17 A Okay.

18 Q This shows --

19 A I'm sorry. We're on page 106 of the 2001 report?

20 Q Yes.

21 A Okay. I'm there.

22 Q In the top of the SDS 3 box, the count for copper is  
23 58.

24 A I see that now. Thank you.

**AR 056457**

25 Q Would you agree that reflects 58 samples over the

1 years?

2 A Right.

3 Q And this table shows that the median value for copper  
4 was 0.029?

5 A That's correct.

6 Q And the 25th percentile is 0.022?

7 A That's what it says.

8 Q And the samples that were evaluated in the WET testing  
9 were samples of 0.022 and 0.023?

10 A That's right.

11 MR. PEARCE: I guess I object. I'm not sure  
12 whether we're comparing apples to apples here.

13 MR. STOCK: I'm going to object to that  
14 speaking objection, because that is a speaking  
15 objection, and it is suggesting an answer to  
16 Dr. Wisdom.

17 I would request that Mr. Poulin be allowed to  
18 conduct his cross-examination without speaking  
19 objections.

20 MR. PEARCE: I'm sorry about the form of the  
21 objection if it was deemed improper by the Board, but I  
22 guess my objection is to foundation. I don't know --

23 MR. STOCK: Then I would ask that opposing  
24 counsel just assert the objection instead of making a  
25 speaking objection.

**AR 056458**

1 MS. COTTINGHAM: I'm going to agree with  
2 that, so why don't you lay the foundation.

3 Q (By Mr. Poulin) Well, I believe we've seen the  
4 foundation. The 1999 report is labeled trace copper  
5 and shows a sample of 0.022 taken on, I'm sorry, total  
6 recoverable copper 0.022 on November 13th, 1998.

7 A You also have to remember that in whole effluent  
8 toxicity tests all the elements are present.

9 Q I'm sorry. There's no question pending.

10 A Okay.

11 Q And my question is, doesn't this table, in the year  
12 2001 report, indicate that 75 percent of the samples  
13 taken at SDS 3 have higher levels of copper than those  
14 used for the WET test?

15 A Yes. That's what it says.

16 Q I'd like to direct your attention to the text of the  
17 year 2001 report.

18 MS. COTTINGHAM: Exhibit number?

19 MR. POULIN: Exhibit No. 6.

20 Q In the discussion of copper, let's turn to page 33.

21 Exhibit 6, page 33. We were just in Exhibit 6, and  
22 at the bottom of page 33, the carryover sentence states  
23 the top 3 SDS 3 copper results all occurred in samples  
24 from storms in the month of August after an extended  
25 dry period of two weeks to 33 days in 1996, 1998 and

1 2000.

2 Did I read that correctly?

3 A Yes.

4 Q Now, the WET tests were not performed under those  
5 August conditions, were they?

6 A No, they weren't.

7 Q I'd like to ask you about the criticism you made of the  
8 sediment sampling and the conclusions drawn by  
9 Dr. Strand.

10 You did not perform any independent analysis to  
11 verify the concentration of trace metals in the  
12 sediments of Miller Creek, did you?

13 A Total recoverable metals? You said trace metals.

14 Q I'm sorry. Total recoverable metals.

15 A No, we didn't.

16 Q So you have no opinion on the accuracy of Dr. Strand's  
17 sampling?

18 A No, I do not.

19 Q And you have no basis to dispute his report that there  
20 are significant amounts of metals accumulating in those  
21 sediments?

22 A Yes. My criticism was to dispute the fact that he  
23 could draw no conclusion as to bioavailability, because  
24 he did not make measurements of acid volatile sulfides,  
25 so therefore in terms of any kind of toxicological

1 interpretation of those numbers, you can't draw  
2 conclusion, good or bad, about those numbers because  
3 you are missing a critical component of that story.

4 Q And you didn't measure the presence of those acid  
5 volatile sulfides either, did you?

6 A No, we did not.

7 MR. POULIN: No further questions.

8 MS. COTTINGHAM: Any redirect?

9 MR. PEARCE: Very briefly.

10

11 EXAMINATION

12 BY MR. PEARCE:

13 Q You were asked about the biological assessment. Do you  
14 know whether the biological assessment assumes -- do  
15 you know what the biological assessment assumes with  
16 respect to exposure of bull trout?

17 A That the bull trout --

18 MR. POULIN: Objection. Vague.

19 Q Do you know if it's assumed that they are exposed only  
20 at the mouth or if it's assumed that they are exposed  
21 at the discharges?

22 MR. STOCK: Objection. Leading. All he  
23 needs to do is ask a nonvague question that isn't  
24 leading.

25 MR. PEARCE: I'll go back.

**AR 056461**

1 Q (By Mr. Pearce) Do you know what the biological  
2 assessment assumes with respect to exposure of bull  
3 trout?

4 A My recollection is it assumes the exposure of the bull  
5 trout is at the mouth of Miller and Des Moines Creek.

6 Q Mr. Poulin asked you to look at some data in the 2001  
7 stormwater monitoring report. Do you have that in  
8 front of you?

9 A Yes, I do. The same page, page 106, is that what you  
10 are referring to?

11 Q No. Actually, first page of it.

12 Is that a compilation of data over a number of  
13 years?

14 A Yes, it is.

15 Q What years are they?

16 A July 1st, 2000 through June 30th, 2001.

17 Q No. Let me direct you, then, specifically to --

18 A I'm sorry. I was reading from --

19 Q Not from the cover, from the concentration they were  
20 talking about.

21 MR. POULIN: I'm sorry. I'm having a hard  
22 time hearing, Mr. Pearce. Could you please repeat.

23 A Oh, you mean at the top of the page, table 106, where  
24 it says --

25 Q What does it say at the top of 106?

**AR 056462**

1 A It says September 1st, 1994 to June 30th, 2001.

2 Q Yes. So that includes information or tests over that  
3 entire range?

4 A Yes. I presume, based on the way it's written. That's  
5 my interpretation.

6 Q Do you know whether the Port has initiated any new best  
7 management practices since 1994-95?

8 A I have been told they have.

9 MR. POULIN: Objection. This goes beyond the  
10 scope of cross.

11 MR. PEARCE: You asked him about this table.

12 MR. POULIN: I didn't ask him about best  
13 management practices.

14 MR. PEARCE: You asked him about the results  
15 of this table and about where they came from.

16 MR. POULIN: You are changing the subject and  
17 moving into an area that was not explored on  
18 cross-examination.

19 MR. PEARCE: Your Honor, the subject explored  
20 on cross-examination was this table and Mr. Poulin  
21 trying to compare this table to 1998 data.

22 MS. COTTINGHAM: Why don't you lay a  
23 foundation for your question.

24 Q (By Mr. Pearce) Do you understand that this table  
25 includes data from 1994 through 2000?

**AR 056463**



1 A Yes, I do.

2 Q And the data in the WET testing, what years was that  
3 WET testing done?

4 A It was done in '98 and '99.

5 Q Do you know whether there were additional BMPs  
6 installed at the Port of Seattle between '98 and 1994?

7 A Yes, I believe there was.

8 MR. PEARCE: That's all I have. Thank you.

9 MS. COTTINGHAM: Are there any Board  
10 questions?

11 Thank you. You are excused.

12 MR. PEARCE: Would you like to start with  
13 Dr. Weitkamp? We have about 20 minutes for him on  
14 direct, or would you like to take lunch now?

15 MS. COTTINGHAM: Why don't we take a lunch  
16 break. It's a good time for a lunch break.

17 Why don't we come back at a quarter after one,  
18 1:15.

19 MR. PEARCE: Thank you.

20 (Recess taken.)

21 MS. COTTINGHAM: We'll go back on the record.  
22 And you were going to call your next witness.

23 MR. PEARCE: Thank you, Your Honor.

24 We would like to call Dr. Donald Weitkamp.

25

**AR 056464**

1                   DONALD E. WEITKAMP, Ph.D., having been first  
2                   duly sworn upon oath or affirmed to tell the truth, the  
3                   whole truth and nothing but the truth, testified as  
4                   follows:

5  
6

EXAMINATION

7 BY MR. PEARCE:

8 Q       Good afternoon, Dr. Weitkamp. Could you give your name  
9           and spell your last name for us, please.

10 A       Donald E. Weitkamp, W-e-i-t-k-a-m-p.

11 Q       And you've submitted written direct testimony in this  
12           matter; is that correct?

13 A       Yes.

14 Q       Is your curriculum vitae attached as tab A to your  
15           testimony?

16           I think you have it there in front of you.

17 A       Yes, it is.

18           MR. PEARCE: For the Board's convenience,  
19           it's attached at tab A. I would note for the record  
20           that it is stipulated as admissible under Exhibit No.  
21           258.

22 Q       (By Mr. Pearce) Does that CV include your  
23           representative project experience?

24 A       It includes representative project experience pertinent  
25           to this matter.

**AR 056465**

1 Q Does it include a list of your publications?

2 A Yes, it does.

3 Q Would you give us a brief overview of your relevant  
4 educational background.

5 A I have a bachelor of science in zoology from Washington  
6 State University, a master of science in invertebrate  
7 pathology from the University of Washington, and a  
8 Ph.D. in fisheries from the University of Washington.

9 Q What has been your role in the Port's master plan  
10 project update, the master plan update projects?

11 A My role has been of reviewing work that was done by  
12 Parametrix regarding fisheries habitat, some on water  
13 quality and flow, providing advice to people in our  
14 firm working on the project and reviewing the documents  
15 they produced.

16 Q Were you here for Dr. Wisdom's testimony?

17 A Yes, I was.

18 MS. OSBORN: I'm sorry. I didn't hear the  
19 word.

20 MR. PEARCE: I'm sorry. I asked if he was  
21 here for Dr. Wisdom's testimony.

22 Q (By Mr. Pearce) Do you remember he spoke about the  
23 biological assessment?

**AR 056466**

24 A Yes.

25 Q Did you assist in the preparation of the biological

1 assessment?

2 A Yes. In the manner that I just described for other  
3 parts of the project.

4 Q Are you familiar with the conditions in the Miller,  
5 Walker and Des Moines Creek basins?

6 A Yes, I am.

7 Q Could you give us a summary of the existing conditions  
8 prior to the beginning of the master plan update  
9 projects prior to about 1996.

10 A The three streams are typical of lowland Puget Sound  
11 streams that occur in urban areas. They have been  
12 highly modified over the years by the human residents  
13 and businesses and agriculture that occurred in the  
14 basins. The riparian zones have been primarily changed  
15 throughout the majority of the basins. They have had  
16 portions channelized, moved. They are relatively  
17 typical of those urban streams. They have a reasonably  
18 abundant fish life, again, very typical of the species,  
19 from what I can tell, in reports done on the basins of  
20 the abundance of fish.

21 Q Are there places in the upper reaches of these streams  
22 where they have been moved and altered anywhere?

23 A Yes. Particularly in Miller Creek, you can tell by  
24 looking at the maps going back quite a number of years  
25 that the upper portion of the stream typically flows

1 through straight ditches with right angles or sharp  
2 angle turns that are atypical of a natural stream,  
3 indicating that it has been placed in a ditch for  
4 various purposes.

5 You can also tell by looking at the topography that  
6 Miller Creek is essentially perched a little higher  
7 than the lower point within the contours in the basin  
8 indicating it was moved sometime in the past, rather  
9 than flowing through a natural course.

10 Q Are any of those areas, where you believe the stream  
11 has been moved, are any of these areas on the Port's  
12 property?

13 A Yes. Much of what I just described is on the Port's  
14 property.

15 Q Do you have an opinion about how the Port's master plan  
16 update projects will affect these streams?

17 A Yes, I do.

18 Q Could you tell us that opinion.

19 A I believe it will improve the habitat in that upper  
20 portion of the watershed, as well as the portion that  
21 still retains more natural stream characteristics.

22 You can see evidence of that occurring today. I  
23 was out there in the basin approximately a month ago,  
24 and the removal of the residences, the businesses, and  
25 the agriculture out of that portion of the basin has

1 already resulted in substantial changes to the riparian  
2 zone, making it obvious that it's returning to a more  
3 natural state.

4 Q Could you describe those changes, briefly, to us.

5 A It's primarily development of natural vegetation. You  
6 can see that in the past people have cut down  
7 vegetation that started to grow along the stream banks.

8 The stumps of saplings and small trees are still  
9 evident that have been cut some time ago. Today those  
10 things are growing unhindered by human activities.

11 Places where there was lawn are no longer  
12 maintained, starting to revegetate.

13 Q If I could return you to the biological assessment, do  
14 you know whether the biological assessment was  
15 submitted to any federal agencies?

16 A Yes, I do.

17 Q And what agencies was that?

18 A It was submitted to the U.S. Fish and Wildlife Service  
19 and National Marine Fisheries Service as part of the  
20 requirements under the Endangered Species Act for  
21 federal action.

22 Q Did the Fish and Wildlife Service issue a biological  
23 opinion?

**AR 056469**

24 A Yes, they did.

25 Q Could I ask you to look at Exhibit 1247. I believe

1 it's down here.

2 MS. COTTINGHAM: What number?

3 MR. PEARCE: 1247.

4 Q Could you identify this for us, Dr. Weitkamp.

5 A This is a letter from the U.S. Fish and Wildlife  
6 Service to Lowell H. Johnson, Federal Aviation  
7 Administration. It deals with the master plan update  
8 improvements to Seattle-Tacoma International Airport.

9 It provides the U.S. Fish and Wildlife Service  
10 biological opinion regarding the species that they  
11 regulate.

12 Q Have you reviewed the biological opinion?

13 A Yes, I have.

14 Q Do you agree with its conclusions?

15 A Yes, I do.

16 Q Is this the type of document that you customarily rely  
17 on in your work in the conduct of your affairs?

18 A Yes, it is. A biological opinion is required for the  
19 major projects that we're involved in that involve  
20 federal entities.

21 Q Could I ask you to look at one other document. It's  
22 Exhibit 266. Could you identify this letter for us,  
23 please. **AR 056470**

24 A This is a letter from National Marine Fisheries Service  
25 to the Federal Aviation Administration. Again, it's

1           dealing with -- it's providing or dealing with the  
2           biological assessment for the master plan on  
3           Seattle-Tacoma International Airport.

4   Q       Have you reviewed this National Marine Fisheries  
5           Service document?

6   A       Yes, I have.

7   Q       Do you agree with its conclusions?

8   A       Yes, I do.

9   Q       Could I refer you to page 13, the section entitled,  
10          "Wetland and Stream Habitat."

11  A       I have it.

12  Q       In particular, if I could refer you to the very last  
13          paragraph, the sentence that starts, the net effect.

14                 Could you read that to us.

15  A       The net effect of relocating a reach of Miller Creek is  
16          expected to be an improvement in water quality and  
17          macroinvertebrate and fish habitat in the relocated  
18          reach and downstream portions of Miller Creek.

19  Q       Do you agree with that conclusion?

20  A       Yes.

21  Q       If I could ask you to look at one additional document.  
22          It's Exhibit 263. It should be in the same book there.

23                 Can you tell me how this document was prepared or  
24          by whom or why it was prepared.

**AR 056471**

25  A       This document is required in the Magnuson & Stevens Act



1 as part of evaluation of effects of federal projects.

2 Q And what particular impacts does it address?

3 A It addresses potential impacts to habitat that supports  
4 commercially harvested species.

5 Q Could I ask you to look at section 6. I apologize for  
6 not having the page number handy.

7 MS. COTTINGHAM: Might it be 6 dash  
8 something?

9 MR. PEARCE: Yes. It begins on 6-1.

10 Q (By Mr. Pearce) In particular, if I can ask you to look  
11 on page 6-3, the section that begins, determination of  
12 effects on a central fish habitat.

13 Have you reviewed this document?

14 A Yes, I have.

15 Q Have you reviewed the determination section?

16 A Yes.

17 Q Do you agree with the determinations in that section?

18 A Yes.

19 Q Could you briefly summarize the conclusions of this  
20 section for us.

21 A Basically, it says that salmon are present, as well as  
22 cutthroat trout in Des Moines Creek and Miller Creek.

23 It says that there is a potential for short-term  
24 impacts on coho, but not long-term impacts.

**AR 056472**

25 Q In your opinion, what effect will the master plan of

1 the projects have on stream habitat?

2 A Over the long term, I expect it to be a substantial  
3 improvement in the habitat of Miller Creek, primarily  
4 due to things I described earlier.

5 MR. PEARCE: Those are all the questions I  
6 have for Dr. Weitkamp. Thank you.

7 MS. COTTINGHAM: Mr. Kray?

8 MR. KRAY: No questions for Ecology.

9 MS. COTTINGHAM: Cross by ACC.

10 MS. OSBORN: Thank you. I just have a couple  
11 of questions.

12

13 EXAMINATION

14 BY MS. OSBORN:

15 Q I believe it's paragraph 29 of your prefiled testimony,  
16 you compare the Port's low-flow mitigation plan, excuse  
17 me, not paragraph 29. Hold on just a moment.

18 On paragraph 42, on page 14, you compare the Port's  
19 low-flow augmentation plan to the multiple storage  
20 reservoirs on the Columbia River; is that right?

21 A What I'm referring to is the water budget program on  
22 the Columbia River, which uses multiple reservoirs.

23 Q Are you talking about the federal hydropower system on  
24 the Columbia River? **AR 056473**

25 A The federal hydropower system is part of it. It also

1 involves private and public utilities.

2 Q Public and private utilities.

3 So you are comparing the Port's stormwater, use of  
4 stormwater to augment streamflows in Miller and Des  
5 Moines Creek to the federal dam, federal and private  
6 dams on the Columbia River; is that right?

7 A No. I'm not comparing the two. I'm saying this  
8 concept has been used.

9 Q Now, are you familiar with the water right permits, the  
10 reservoir permits and water right permits that are  
11 utilized for hydropower facilities on the Columbia  
12 system?

13 A I have reviewed the licensing. I have not reviewed the  
14 water rights.

15 MS. OSBORN: That's all I have.

16 MS. COTTINGHAM: Mr. Poulin.

17 MR. POULIN: Thank you.

18

19 EXAMINATION

20 BY MR. POULIN:

21 Q Dr. Weitkamp, Rick Poulin for CASE.

22 Those storage systems on the Columbia River do not  
23 involve the use of closed storage vaults, do they?

24 A Not what I'm referring to, no.

**AR 056474**

25 Q Now, you've testified concerning the biological

1 assessment and the biological opinion, central fish  
2 habitat.

3 Taking those one at a time, the biological  
4 assessment was conducted for the purpose of the  
5 Endangered Species Act; is that correct?

6 A That's correct.

7 Q It did not involve any determination about compliance  
8 with state water quality standards?

9 A I don't recall that it does.

10 Q And the biological opinion from the U.S. Fish and  
11 Wildlife Service, that likewise involved the potential  
12 impacts for the three identified species, the bull  
13 trout, bald eagle and marbled murrelet, under the  
14 Endangered Species Act?

15 A It does address those, yes.

16 Q This document does not address the issue of compliance  
17 with state water quality standards, does it?

18 A I don't believe that it does.

19 Q And the essential fish habitat assessment, this  
20 addresses conditions for chinook salmon, coho salmon,  
21 and Puget Sound pink salmon; is that right?

22 A Right.

23 Q And it's your testimony, as I recall, that they use, if  
24 any, part of the SeaTac area streams, the mouths at the  
25 bottom of the watershed; is that right?

**AR 056475**

1 A I didn't say that, no.

2 Q You haven't found any chinook salmon or coho or Puget  
3 Sound pink salmon in the upper watershed of the Miller  
4 Creek and Des Moines basin, have you?

5 A I have not, no.

6 Q And this essential fish habitat assessment doesn't  
7 address compliance with the state water quality  
8 standards, does it?

9 A No, it does not, to my knowledge.

10 Q Your opinion that the proposed master plan update  
11 actions will not likely adversely effect stream habitat  
12 assumes that the proposed mitigation will be  
13 implemented and will perform as intended, doesn't it?

14 A That is one of the assumptions, yes.

15 Q You've addressed what you described as benefits to the  
16 stream from decreased residential use of fertilizers  
17 and pesticides; is that accurate?

18 A That's a part of it, yes.

19 Q Now, it's true that stormwater discharges from SeaTac  
20 include fertilizers?

21 A I would assume that it does include nutrients.

22 Q And it's true that SeaTac's stormwater discharges  
23 include pesticides?

**AR 056476**

24 MR. PEARCE: Objection. Lack of foundation.

25 MS. COTTINGHAM: I'm going to sustain the

1 objection.

2 Q (By Mr. Poulin) Are you aware that pesticides are used  
3 at SeaTac International Airport?

4 A No, I'm not.

5 Q You are not aware of that.

6 Have you reviewed the best management practices in  
7 place at SeaTac?

8 A I have reviewed portions of it, but it's been quite  
9 some time.

10 Q Are you familiar with the Stormwater Pollution  
11 Prevention Plan at SeaTac?

12 A Generally, yes.

13 Q But you are not aware that plan discusses the use of  
14 many different pesticides?

15 A I don't recall the provisions for pesticides.

16 Q You state in paragraph 16 of your prefiled statement  
17 that urban development in drainage areas produces  
18 roadway pollutants, fertilizers and pesticides that  
19 alter the characteristics of urban streams. And then  
20 in the last sentence on page 4, treatment of STIA  
21 runoff prior to discharge to these streams avoids the  
22 impacts resulting from other urban development. **AR 056477**

23 You haven't cited any evidentiary basis for your  
24 assertion that treatment of SeaTac discharges avoids  
25 the impacts resulting from other urban development,

1 have you?

2 A No.

3 Q In fact, the Port doesn't even monitor stormwater  
4 discharges for pesticides, does it?

5 A Not that I'm aware of.

6 Q In your evaluation of the impacts of the proposed  
7 development on stream conditions and habitat, you did  
8 not evaluate the impacts of construction dewatering?

9 A Not specifically.

10 Q And with respect to the new constructed wetlands to be  
11 built in the Green River basin, would you agree that  
12 those wetlands will not provide any benefits to the  
13 Miller or Des Moines Creek basins?

14 A Yes.

15 MR. POULIN: No further questions.

16 MS. COTTINGHAM: Any redirect?

17 MR. PEARCE: Very briefly.

18

19 EXAMINATION

20 BY MR. PEARCE:

21 Q With respect to the questions that Mr. Poulin asked you  
22 about the prior urban development in the buyout area,  
23 were those uses required to obtain an NPDES permit?

24 A No, they were not.

**AR 056478**

25 MR. PEARCE: I have no other questions.

1 MS. COTTINGHAM: I have a question, and  
2 you're probably the best witness to answer it.

3

4 EXAMINATION

5 BY MS. COTTINGHAM:

6 Q We've had reference to cutthroat trout, rainbow trout  
7 and bull trout. Are these three separate species or  
8 are they two?

9 A Yes. Actually, rainbow trout are technically a salmon.  
10 They are in the same genera Oncorhynchus as the rest of  
11 the salmon. It was in 1980s that they were  
12 reclassified, but we still call them trout.

13 The bull trout is not in the same group as  
14 cutthroat trout. It is technically a char.

15 MS. COTTINGHAM: Thank you.

16 Any other questions?

17 MR. LYNCH: I have a couple questions.

18

19 EXAMINATION

20 BY MR. LYNCH:

21 Q Thank for your testimony today.

22 I'm looking at page 10 of your prefiled testimony,  
23 and I just was hoping you could help me understand a  
24 couple things. **AR 056479**

25 The first thing is paragraph 30, right at the top



1 of the page where you -- it's the heading, importance  
2 of chronic criteria, and the first sentence begins,  
3 maximum increases in concentrations of materials in the  
4 stormwater discharged from the STIA facilities will  
5 occur well-after streamflows have been increased by the  
6 same precipitation passing through the treatment and  
7 detention facilities, and then it goes on to say about  
8 the peak concentrations of materials and the  
9 discharges.

10 I'm not sure what, I guess, this paragraph means.

11 A What I was trying to get across was that when you have  
12 a substantial storm event, which is what would be  
13 necessary for there to be runoff increases, you almost  
14 within a very short period of time, it is almost  
15 immediately, get runoff from many areas, particularly  
16 in an urban area, because you have so much impervious  
17 surface area, which causes streams to start rising or  
18 the flow to increase very quickly.

19 With the Seattle-Tacoma International Airport  
20 system, you have detention that slows down its release,  
21 so you will already have had the streamflow increase,  
22 assuming that we're starting off in a dry period and  
23 you have a storm such as perhaps we had last August,  
24 then you would have the stream level come up, a flow  
25 increase first, and then after, sometime after it **AR 056480**

1           increased, you would have the increase in discharge  
2           from the treatment facilities.

3           And the difference being they have the capacity to  
4           detain water for some period of time.

5   Q       And then my final question I just want to make clear in  
6           my mind, it's on the same page, paragraph 33, when you  
7           were talking about the baseline conditions in the STIA  
8           area streams, were you looking at -- I think I'm  
9           getting my creeks correct, but for Des Moines Creek,  
10          were you looking at a cfs of one or something less than  
11          that, when you were formulating your opinions?

12   A       I was reviewing the information as provided by the  
13          stream records, and they indicate that it does get down  
14          to less than one up in the headwaters.

15                   MR. LYNCH:   Okay.   Thank you.

16                   MS. COTTINGHAM:   Any questions as a result of  
17          Board questions?

18                   MR. PEARCE:   No.

19                   MR. POULIN:   I have a question.

20

21

EXAMINATION

**AR 056481**

22   BY MR. POULIN:

23   Q       Dr. Weitkamp, that discussion in paragraph 30 of your  
24           prefiled, essentially asserts that the Port gets the  
25           benefit of a mixing zone in the receiving waters,

1 doesn't it?

2 MR. PEARCE: Objection. Calls for a legal  
3 conclusion.

4 MS. COTTINGHAM: Can you restate your  
5 question.

6 MR. POULIN: Sure.

7 Q (By Mr. Poulin) Dr. Weitkamp, aren't you suggesting  
8 that the Port's discharges are less problematic because  
9 they will be diluted by streamflows in the receiving  
10 waters?

11 MS. COTTINGHAM: You can go ahead and answer  
12 the question.

13 A I'm just trying to portray the conditions that would  
14 occur in the stream when the discharges occurred that  
15 would have the higher concentrations.

16 Q Isn't it likely that those increased stream levels will  
17 likewise include higher concentrations of pollutants  
18 transported to the stream by the storm?

19 A If they are coming off the impervious surface areas  
20 that involve roads and vehicles, yes.

21 MR. POULIN: No further questions.

22 MS. COTTINGHAM: Do you have any questions?

23 MS. OSBORN: None here.

**AR 056482**

24 MS. COTTINGHAM: You are excused. Thank you.

25 MR. PEARCE: Thank you, Your Honor. I

1 believe our next witness will be Paul Fendt.

2 Mr. Reavis will be doing direct examination.

3 MS. OSBORN: I have a question before we  
4 start.

5 MR. REAVIS: Can we stop the clock, then?

6 MS. OSBORN: My question that I have is that  
7 in review of Mr. Fendt's testimony, we discovered in  
8 one of the attachments, tab C, seven-day low-flow  
9 occurrences in Walker Creek, the third page, behind tab  
10 C, that this appears to be a replacement page to the  
11 December 2001 low-flow plan, probably in response to  
12 questions that were raised by Mr. Whiting in the  
13 mid-February meeting that he had. It seems to be  
14 responsive to that.

15 This document was never produced to us, so I have a  
16 specific objection to the use of this document on that  
17 basis, but also more generally, I'm wondering if it  
18 might be possible for the Port to identify in its  
19 witnesses' testimony and attachments where it has  
20 inserted new materials that are intended to be  
21 replacements to the December 2001 low-flow plan.

22 For example, further along in Mr. Fendt's  
23 attachments, there are materials that are completely  
24 undated and this one doesn't have a date on it either,  
25 so rather than playing a guessing game, I'm wondering

**AR 056483**

1 if it might be possible to get that identified for us  
2 so we can make our objections properly and in a timely  
3 manner.

4 MR. REAVIS: Maybe we can ask Mr. Fendt, and  
5 I think were going to need to get the July 2001  
6 low-flow report and see if this is the same document.

7 Do you happen to know whether this is the same  
8 document?

9 MS. COTTINGHAM: Hang on just a second. Can  
10 we swear the witness in.

11  
12 **PAUL S. FENDT, P.E.**, having been first duly  
13 sworn upon oath or affirmed to tell the truth, the  
14 whole truth and nothing but the truth, testified as  
15 follows:

16  
17 MR. REAVIS: Just in response to the  
18 question, then, because it's his exhibit, maybe if we  
19 can find July. Is it July 2001 that you need?

20 Okay. Do you know if this is, in fact, a  
21 replacement page?

22 MS. OBSORN: Are we on the clock now?

23 MS. COTTINGHAM: This is not testimony. This  
24 is clarifying for purposes of whether it's excluded or  
25 not.

**AR 056484**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. FENDT: It is a replacement page.

MR. REAVIS: I'm not going to be referring to this in his oral testimony. We can remove it from the materials at a later date. I guess I would like to take the opportunity at some point to discuss it with Mr. Fendt, but we're not going to be covering it here in his testimony today.

MS. OSBORN: We would ask that it be stricken and references in his prefiled testimony to it be stricken as well.

MR. REAVIS: I think if it is in fact a document that was submitted in response to Mr. Whiting's comments, we weren't intending to offer that. I think the prefiled was done, obviously, before we had the ruling. We haven't been through all of the attachments, so we can remove it and perhaps substitute the previous one if that would be acceptable after his testimony is over.

MS. COTTINGHAM: That's acceptable to me.

Do you want me to do a written order to this effect with the redacted page?

MR. REAVIS: Perhaps what I can do is once we have a minute, maybe at the end of the day, pull out the previous one and we can read it into the record. I don't know that we need a written order on it.

**AR 056485**

1 MS. OSBORN: If we redact testimony from his  
2 prefiled -- he does make reference to it in his  
3 prefiled. It might be good to have a written order on  
4 that with the attached redacted page.

5 MR. REAVIS: That's fine. I guess what I  
6 would request -- I'm not exactly sure which testimony  
7 might be covered by the order. We'll take a look at  
8 it. Maybe if ACC has already done that, it would  
9 expedite the process and have them tell us which lines  
10 they believe should be redacted.

11 MS. COTTINGHAM: Perhaps when we take a break  
12 later this afternoon the two of you, or whoever is the  
13 lead on this issue, could speak with Mr. Eric Lucas,  
14 who is in the back of the room right now, so that we  
15 can codify this in some way for the record.

16 MS. OSBORN: That will be fine.

17 And as to the question of whether there are  
18 additional attachments in Mr. Fendt's testimony or that  
19 of upcoming witnesses that is, essentially, a  
20 replacement, I'm wondering at what point we might be  
21 notified, if that's appropriate.

22 MR. REAVIS: We will certainly ask our  
23 witnesses. The only ones that I'm aware of are the  
24 ones that have been removed, stricken from **AR 056486**  
25 Mr. Ellingson's testimony already. But we'll ask our

1 witnesses. I guess if ACC has any questions about  
2 that, we're certainly willing to discuss it with them.

3 And before I get started, I've got some handouts,  
4 just pages from the low-flow plan and from the SMP.

5 MR. POULIN: Start the clock?

6 MS. COTTINGHAM: Start the clock.

7

8 EXAMINATION

9 BY MR. REAVIS:

10 Q Could you please state your name and spell it for us,  
11 please.

12 A Paul Steven Fendt, F-e-n-d-t.

13 Q Mr. Fendt, how are you employed?

14 A I'm employed with Parametrix.

15 Q And what is your position at Parametrix?

16 A I'm a water resources division manager, and I do  
17 stormwater engineering and stormwater management.

18 Q Are you a professional engineer?

19 A I'm registered as a professional engineer in the states  
20 of Washington and Florida.

21 Q And is a copy of your CV attached to your prefiled  
22 direct testimony?

23 A Yes, it is.

24 Q Can you give us a brief summary of your educational  
25 background, please.

**AR 056487**



1 A I have a bachelor of science degree in geological  
2 engineering from the University of North Dakota.

3 Q How long have you been employed at Parametrix?

4 A I've been at Parametrix for 11 years.

5 Q During that time, what particular areas have you  
6 specialized in, if any?

7 A My primary responsibility is stormwater management. I  
8 do stormwater master plans, stormwater comprehensive  
9 plans, sediment erosion control plans. I do water  
10 quality evaluations, sedimentation studies, river  
11 engineering, river design and stream restoration.

12 Q When was your first involvement with the Port's third  
13 runway project?

14 A First time I worked on this project was in June of  
15 1995.

16 Q Are you currently the project manager for that project?

17 A I am.

18 Q What does being the project manager entail?

19 A Well, as the project manager, I'm responsible for the  
20 routine client management, which includes writing  
21 invoices and doing progress letters and working on  
22 scopes and budgets. I'm also responsible for  
23 coordinating all the work and the different tasks that  
24 we prepare under the contract. **AR 056488**

25 So, for example, I'll attend meetings with the Port

1 and Port staff and make sure that what's going on in  
2 one part of the project is being carried over to other  
3 parts of the project.

4 Q And how long have you been the project manager?

5 A I've been the project manager for four years.

6 Q Are there particular tasks associated with the Port's  
7 MPU projects that you have been more involved with  
8 personally?

9 A Yes. I'm responsible, specifically, for the tasks  
10 regarding the comprehensive stormwater management plan,  
11 which I'll refer to as the SMP.

12 I'm also responsible for the low-streamflow  
13 analysis, and in addition, I'm a design engineer for  
14 the Miller Creek relocation plan.

15 Q Now, in your prefiled testimony, at paragraph 7, you  
16 talk about stormwater impacts from master plan update  
17 improvements. Can you tell us what causes those  
18 impacts.

19 A Well, the construction of impervious surfaces and the  
20 modification of the land and land cover results in  
21 changes to the hydrologic properties of the land. So,  
22 for example, if an area had impervious surfaces and a  
23 certain type of land cover, like tree cover, it would  
24 have certain runoff characteristics. **AR 056489**

25 Once those are removed and impervious surfaces are

1 placed there, there would be an increase in runoff  
2 which would result in additional flows in streams which  
3 could cause scouring in streams, erosion in streams and  
4 the like.

5 Q And those are peak-flow impacts?

6 A Those are impacts from peak flows.

7 Q What effect, if any, does the addition of impervious  
8 surfaces have on low flows?

9 A The construction of new impervious surfaces on pervious  
10 areas reduces the amount of runoff or rainfall that's  
11 able to infiltrate into the ground and recharge the  
12 component of groundwater that provides the streamflows  
13 during base flow.

14 Q So the addition of impervious surfaces affects that  
15 how?

16 A It would reduce the amount of infiltration that's  
17 available and reduce the flows in the stream.

18 Q Let's talk about peak flows for a minute.

19 How do you go about mitigating for peak-flow  
20 impacts?

21 A Well, there are really two, typically, used ways to  
22 mitigate for stormwater peak-flow impacts. One is to  
23 infiltrate the stormwater back into the ground. So  
24 once it's collected from new impervious surfaces, you  
25 direct it toward an infiltration area where it can be

1           reinfiltrated much the same way that it infiltrates  
2           before the project is developed.

3           The second way is to use detention facilities, and  
4           what detention facilities do is they will collect the  
5           stormwater runoff. It comes from the new impervious  
6           surfaces and delays its release into the streams, and  
7           by delaying its release, it will prevent these peak  
8           impacts that I talked about earlier.

9   Q       Is there a preferred method for controlling stormwater  
10       flows as between infiltration and retention?

11   A       Well, infiltration is a preferred method, because it  
12       has the ability to more closely replicate what's going  
13       on in the watersheds before development occurs.

14   Q       Now, are you using some infiltration at the airport?

15   A       Yes, we are.

16   Q       Why don't you use exclusively infiltration for this  
17       project?

18   A       Well, infiltration requires, using infiltration for  
19       stormwater detention needs requires certain conditions  
20       that are, certain conditions to occur at the project  
21       sites.

22           So, for example, the soils into which you are  
23       infiltrating have to be able to infiltrate water. They  
24       can't be real dense soils. They have to be loose and  
25       able to infiltrate water.

**AR 056491**

1           Secondly, the groundwater has to be in such a  
2           location so that there's basically a place for the  
3           water to infiltrate to. If the groundwater is too  
4           high, there's no place for infiltration to occur.

5   Q       How would you describe, then, the soils and the  
6           location of the groundwater as it relates to  
7           infiltration in the streams that we're talking about  
8           here?

9   A       Well, generally throughout the area there's a mixture  
10          of what are called till soils, which tend to be very  
11          tight soils that have very highly compacted areas  
12          fairly close to the surface.

13          There are other soils that are typically called  
14          outwash soils that tend to have much better  
15          infiltration characteristics and have water tables that  
16          are much lower. These areas tend to be scattered  
17          throughout the watershed, and in the case of the  
18          airport, in the Walker and Des Moines Creek basins  
19          there are no good areas that have these good  
20          infiltrating soils and the lower water tables into  
21          which to infiltrate.

22          However, in the Miller Creek basin, we do have an  
23          area where we have some of these better infiltrating  
24          soils and where we have the water tables low enough so  
25          it's possible to infiltrate stormwater.

**AR 056492**

1 Q Let me turn, then, to detention. How do you determine  
2 how much peak-flow storage is needed?

3 A Well, there's a few things you need to know. One is  
4 that you need to know what standard it is that you are  
5 looking at, whether or not you are meeting a level 2 or  
6 level 1 standard, which is basically what's your point  
7 of comparison; do you need to compare peak flows at  
8 certain return frequencies for storms. For example, do  
9 you need to control peak from a two-year storm, a  
10 ten-year storm or a hundred-year storm.

11 The second part of it is that you need to have some  
12 ability to determine or calculate what these  
13 differences are going to be, and typically you use a  
14 hydrologic model.

15 Q You mentioned a level-2-versus-level-1 standard. Which  
16 one is the Port using at the airport for these MPU  
17 projects?

18 A The Port is using a level 2 standard for MPU projects.

19 Q What does that do to your stormwater detention  
20 requirements?

21 A Well, typically level 2 analysis, because -- I'll back  
22 up and explain a little bit of the difference.

23 When you are looking at level 1, you are really  
24 just trying to compare the peaks of storms, so you try  
25 to compare a ten-year storm, 24-hour storm, with

1 another ten-year, 24-hour storm before you develop the  
2 project and after you develop it.

3 With level 2, you are looking at it in a little  
4 different light. You look at it from the point of view  
5 of all the flows in the stream. Within a certain  
6 range, you are trying to match all the flows, and the  
7 reason we do this is that level 2 analysis looks more  
8 at the duration of the flow.

9 So as I described earlier, when you look at  
10 infiltration, when you consider how infiltration or  
11 impervious areas reduce infiltration, there's more  
12 water that has to be discharged, so even if you can  
13 hold onto it in a detention facility, you still have a  
14 little more water to get rid of.

15 And if you have to get rid of that water over a  
16 longer period of time, you need to provide a lot more  
17 storage, so typically level 2 detention requires a lot  
18 more detention storage than a level 1 would require.

19 Q You mentioned computer models. What model was used for  
20 the purpose of designing the stormwater detention for  
21 high, for peak flows?

22 A The HSPF model.

23 Q Do you have an opinion about the suitability of that  
24 model for the purpose that you've described? **AR 056494**

25 A HSPF is considered the design standard or, basically,

1 the best available model to be used for doing  
2 stormwater management in Western Washington.

3 There's another model that is used, typically it is  
4 called KCRS, and it's a derivative or it's sometimes  
5 referred to the HSPF light. It's a simpler model to  
6 use, but it uses the same basic calculations as the  
7 HSPF.

8 And the reason that these models are so good for  
9 Western Washington is that unlike other parts of the  
10 country where the big storms that occur tend to come in  
11 cloud bursts or thunderstorms and so on, as we all  
12 know, in Western Washington it rains for many, many  
13 days at a time, and these multiple-day rainfalls that  
14 occur in this area are what cause higher flows or what  
15 cause peak flows in creeks. And it's important to  
16 mitigate those peak flows from the multiple-day storms  
17 rather than just looking at a single storm.

18 Q Now, for the stormwater master plan, who performed the  
19 modeling for the peak flows?

20 A We've been working on the stormwater master plan for  
21 several years now, and with the life of the project,  
22 we've had different people model it.

23 Since 1999, Parametrix has been the firm that is  
24 responsible for doing all the peak-flow analysis;  
25 however, through that time, we've had either people



1 that were Parametrix employees or we had subconsultants  
2 working on it.

3 So the document that was prepared that for SMP, the  
4 SMPC with the replacement pages was assembled by, and  
5 mostly directed by Parametrix, but the HSPF modeling  
6 was done by two other firms, by Aqua Terra and  
7 specifically Joe Brascher, and the Des Moines Creek  
8 basin was done by Foster Wheeler, specifically  
9 Dr. Felix Kristanovich.

10 Q Now, is the modeling work that you've described for  
11 peak flows set forth in any documentation that we have  
12 here?

13 A Yes. All the modeling work that we prepared is in the  
14 comprehensive stormwater master plan. It's a  
15 four-volume set that includes volume A, the modeling  
16 report. It describes all the modeling specifically,  
17 and volume B is the calibration report.

18 Q Is that volume A or appendix A?

19 A Appendix A. It's volume 2.

20 Q Now, if you would please, then, I'd like to get you to  
21 describe for our benefit the basic layout of the  
22 stormwater management facilities at the airport, and if  
23 you need to you can use these demonstrative exhibits.

24 If you can just point out and describe the major  
25 features, that would be helpful.

**AR 056496**

1 MS. COTTINGHAM: Is this an exhibit that we  
2 have in front of us?

3 Q Well, let me ask you, Mr. Fendt, if you can identify at  
4 least the first page

5 A This is figure A7, which is a part in the volume 2,  
6 appendix A, of the stormwater master plan.

7 Q And I believe there is copies, is there not?

8 Is that attached to your prefiled or not?

9 A No, it's not.

10 MS. OSBORN: The Port didn't provide the  
11 stormwater management plan to the Board; is that right?

12 MR. REAVIS: No. We have one copy. I did  
13 not make multiple copies of this diagram, but it is in  
14 the stormwater master plan and the Board has, I  
15 believe, one copy of that exhibit.

16 A What this depicts is -- you've heard about the three  
17 streams that run off from the airport runs to, so what  
18 we needed to do is first of all those three streams are  
19 identified by this heavy, dark dashed line here.

20 So generally, all this land up here to the north of  
21 the airport drains to Miller Creek, which runs through  
22 here and takes a turn and heads to the Sound. All the  
23 area in the middle here and off to the south and off to  
24 the southeast side of the airport drains out generally  
25 to the south end to Des Moines Creek, which runs

1 through here, runs north and then turns toward the west  
2 or runs south turns to the west and goes to the Sound.

3 Then, finally, there is Walker Creek, and Walker  
4 creek has just a small area right through here, which  
5 is defined by this black line and runs in this  
6 direction, and generally runs parallel to Miller Creek,  
7 where it's a tributary of Miller Creek and joins the  
8 creek near the mouth, near the Sound.

9 And what you see in these colors is that these  
10 generally depict what are called subbasins, and what  
11 happens is when you do stormwater management, you try  
12 to collect all your water and discharge it at places  
13 that make sense, so all the water drains to a certain  
14 place. You are evaluating all that water that drains  
15 to a single point.

16 So what happens here is, for example, in all this  
17 purple area here, it most likely -- I mean, it's the  
18 best design decision to make all the water run to the  
19 north, so these subbasins describe water that runs to  
20 the north.

21 And then this subbasin, for example, this STW is  
22 all water that runs over to this point, so you can see  
23 as you go around that we need to evaluate, we need to  
24 subdivide the whole airport into smaller chunks or  
25 subwatersheds or drainage basins in order to evaluate

1 each of those areas, and we evaluate each of them  
2 individually and use each one of those as a point of  
3 analysis, so what we do is we look at one of these  
4 subbasins and determine what all the factors are that  
5 describe the hydrology, the land cover, the soils and  
6 so on, and then we determine how much water runs off  
7 from that area right now from 1994.

8 Then the second thing we do is look at, well, how  
9 is that going to change once the third runway is built  
10 and how would that change the hydrologic  
11 characteristics. Then we use the HSPF model to model  
12 that and determine how much runoff would come off then,  
13 and it's the difference between those two that  
14 determine how much detention volume we need to provide  
15 and the differences -- how much infiltration or  
16 detention volume that we need.

17 Q Could you, then, just point out for us where some of  
18 the vaults will be located and the detention facilities  
19 and so forth.

20 A Each of the areas that are shown here in dark gray  
21 blotches as you go around the airport are all detention  
22 facilities, so most of the detention facilities that  
23 are in that master plan update, for master plan update,  
24 are vaults. They are underground vaults. Some of them  
25 are actually partially above ground, and some of the

**AR 056499**

1 facilities are open ponds.

2 So, generally, these four facilities that are on  
3 the west side that are for part of Miller Creek and  
4 this one facility that is part of Walker Creek are all  
5 open ponds.

6 All these facilities you see to the north including  
7 the NEPL retrofit and SDN 1 and the cargo vaults that  
8 all drain to the north, those are all vaults.

9 Everything that goes to the south, with one  
10 exception, are all vaults. Those are all in the Des  
11 Moines Creek basin, so that's the SDS 3A vault. The  
12 SDS 3 vault, and so on.

13 Then there's one other pond that handles all the  
14 drainage from the east side of the airport that's  
15 called the SASA pond, and that's an open detention  
16 facility.

17 Q That's all I have for that explanation now.

18 Are those types of facilities that you described  
19 common with regard to stormwater management?

20 A Those are typical detention facilities that are  
21 constructed to manage the stormwater.

22 Q Can you estimate how many stormwater management systems  
23 you've designed using these same types of facilities?

24 A I would estimate in the last ten-years or so maybe 25.

25 Q Now, with regard to peak-flow management at the

**AR 056500**

1           airport, how long does the water actually stay in some  
2           of these detention facilities?

3   A       Some of the detention facilities, especially the  
4           facilities on the west side in Miller Creek, some of  
5           the those detention facilities hold water for up to 90  
6           days, that's the stormwater that drains into them, and  
7           90 days for the purposes of stormwater detention.

8   Q       To your knowledge, has a water right ever been required  
9           in order to detain water for peak-flow mitigation?

10   A       No.

11   Q       I want to turn, then, to the retrofitting issue, and  
12           what I'd like you to look at is Exhibit No. 1, which is  
13           the September 401 and specifically page 26 of that  
14           exhibit, 26 of 33, and primarily subsection (c) on that  
15           page.

16   A       Okay.

17   Q       Are you familiar with that particular provision of the  
18           401?

19   A       Yes, I am.

20   Q       How did you become familiar with what's described in  
21           that provision?

22   A       It's part of my job once we are issued the 401  
23           certification that I need to read it and understand it  
24           and determine how it affects the projects that I'm  
25           working on and how would it define or determine other

1 deliverables that need to be provided.

2 Q Have you discussed that particular provision with  
3 anyone at Ecology?

4 A I have not, personally.

5 MS. OSBORN: At this point, I would just --  
6 we're talking about subsection (c), the retrofitting  
7 provision; is that right?

8 MR. REAVIS: Correct.

9 MS. OSBORN: I would interpose our standard  
10 objection that this is outside the scope of the  
11 information contained in his prefiled direct, no  
12 mention of retrofitting in here.

13 MR. REAVIS: I think there is some reference  
14 to it, but in any event, Mr. Fendt has heard a lot of  
15 the testimony prior and I think he's entitled to be  
16 able to discuss retrofitting requirements that's part  
17 of his normal duties.

18 MS. COTTINGHAM: I'm going to allow the  
19 question.

20 Q (By Mr. Reavis) Can you explain for us, then, what the  
21 plan is to retrofit for flow control, as indicated by  
22 the 401 provision.

23 A Well, the way I understand the condition is that for  
24 every 20 percent of a project, a new impervious area  
25 that is constructed, or 10 percent of impervious area

1 that is constructed, we need to apply 20 percent of the  
2 retrofitting.

3 Q Can you describe for us, I guess, what is meant by  
4 retrofitting and what kinds of things is the Port  
5 planning to do to retrofit.

6 A There are two parts, two really significant parts of  
7 the retrofitting plan, and they are to be divided into  
8 the retrofitting for peak flows and the retrofitting  
9 for water quality.

10 Now, the peak-flow retrofitting has required us --  
11 if you remember from Mr. Whiting yesterday, he talked  
12 about the 10-15-75 or the 75 percent forest cover.

13 What the Port is doing for the stormwater master  
14 plan is -- maybe I should back up and give a little bit  
15 of background.

16 Whenever one does stormwater management, remember I  
17 described earlier that we are always comparing some  
18 sort of existing condition to some sort of future  
19 condition. Well, in this case, in most cases, the  
20 existing condition would be how is it today or how was  
21 it in 1995 or 1996 before any of the projects started,  
22 and then comparing that to what is going on in the  
23 future, in 2006.

24 Well, in this case for peak-flow analysis, the Port  
25 has been required to retrofit back to a condition of



1 much less development than what's occurred in 1994, and  
2 that amount of development is assuming rather than the  
3 airport areas that you see in this figure here, we are  
4 assuming that each one of those individual subbasins  
5 has only 10 percent impervious surface and 75 percent  
6 of those areas is forested and the rest of it is a  
7 grass area or grass covering.

8 So we're undoing, as far as our understanding of  
9 the existing conditions, how much impervious area is  
10 already out there.

11 So the peak-flow retrofitting is actually  
12 comparing, basically, an undone or some predeveloped  
13 scenario of the airport with the future project.

14 With respect to water quality, water quality is  
15 different in that we'll be applying the manual  
16 standards to the entire airport, to the extent  
17 practicable. And there's a discussion in our  
18 stormwater master plan that demonstrates that with the  
19 exception of 80 acres, that the Port will apply  
20 stormwater BMPs for water quality to the entire  
21 existing facility, including areas that may not have  
22 BMPs right now.

23 And with regard to the 80 acres that's not being  
24 included, the reason it wasn't considered practicable  
25 is it includes the area out here in front of the

1 existing terminals, so you can see that just to the  
2 east are all the terminals, and this is basically where  
3 all the airplanes have to move through, and from a  
4 service disruption point of view, it was extremely  
5 difficult to disrupt the actual airport service in  
6 order to do retrofitting in this strip.

7 Q This provision in the 401 refers a table A3 in the  
8 stormwater management plan, which is actually part of  
9 the materials that I passed out a minute ago, the  
10 excerpts from the stormwater management plan.

11 Could you tell us what table A3 is.

12 MS. COTTINGHAM: Which document is this,  
13 again? The one with the fold-up maps in it or the  
14 other one?

15 MR. REAVIS: The one with the fold-up maps.  
16 If you notice, the cover sheet, the cover sheet on each  
17 or one of the cover sheets is the stormwater management  
18 plan; the other is the low-flow plan.

19 And this is just behind the fold-up map, is where  
20 table A3 starts.

21 A What table A3 is, it lays out when projects will be  
22 constructed, what type of detention is required, or  
23 where, where the facility is, and it lists the year in  
24 which the Port will construct the facility.

25 So basically what it is, and the way it was used,

1 is to determine, first of all, whether or not the  
2 facilities would be in place in time for when the  
3 construction was, the master plan project was in  
4 operation, and it also lays out the schedule in which  
5 it would be constructed.

6 Secondly, it talks about whether or not this is a  
7 new or a retrofit. So it says if this is a retrofit  
8 facility -- this is in the second to last column,  
9 second column from the right. It says, is it retrofit  
10 facility? Then it says, well, in which detention pond  
11 or which detention vault will we provide the retrofit?

12 Then the last number that you see in parentheses as  
13 you go through this is the year, the construction year  
14 in which it will be built, so basically, what this does  
15 is it lays out the schedule for retrofitting and  
16 construction of all the stormwater facilities.

17 Q Now, are there, then, feasibility issues regarding  
18 meeting this goal of 20 percent retrofitting for each  
19 10 percent of new impervious surface?

20 A Well, there are problems that can arise with  
21 implementing this. I mean, if you think about it in  
22 terms of just doing the math, once 50 percent of the  
23 impervious surface is constructed, then a hundred  
24 percent of the retrofitting needs to occur. **AR 056506**

25 Where the problem arises is that construction of

1 the facility itself is, as you are building the  
2 facility, you are actually building the retrofiting.  
3 A good example of this is the filter strips that go  
4 along with the runway.

5 So if we end up, if we've already constructed 50  
6 percent of the impervious area and we haven't finished  
7 building the embankment for the runway, we haven't  
8 finished building the retrofit facilities that we need  
9 to provide.

10 So what we've done in the condition, the way I  
11 understand it, is intended to provide an ability to  
12 rely on the schedule that was agreed to and included in  
13 the SMP.

14 Q I want to switch gears and talk about low flows for a  
15 bit, and you have described in paragraph 37 of your  
16 prefiled testimony impacts on low flows in the Des  
17 Moines, Walker and Miller creeks; is that correct?

18 A That's correct.

19 Q And could you just briefly tell us what the impacts  
20 will be according to the work that you've done.

21 A The December 2000 low-flow report has determined that  
22 low-flow impacts in Des Moines Creek will be  
23 eight-hundredths of a cfs and Miller Creek will be no  
24 impact and Walker Creek will be eleven-hundredths of a  
25 cfs.

**AR 056507**

1 Q Now, have you prepared a figure that shows to scale  
2 what those impacts will represent in the streams  
3 themselves?

4 A Yes, I have.

5 Q And there is the other handout that has the cover page  
6 that says low-streamflow analysis on the top of it.

7 Can you tell me what the second page of that  
8 handout shows.

9 Let me just ask you first, is that to scale?

10 A Yes, it is.

11 Q And what does that show?

12 A What this figure shows is we made calculations of what  
13 we would expect the water depths to be in the creeks as  
14 they exist today during low-flow periods, during  
15 average low-flow periods.

16 Then we calculated what would the water depth be in  
17 the creek in the event that the low flow was not  
18 mitigated, and what we show on this page is in the  
19 individual creeks, what the change would be in the  
20 depth of water and the width of the wetted surface. So  
21 if you are looking down at the creek and you saw how  
22 wide the creek was, what you would see is these  
23 reductions in creek width or these changes in channel  
24 depth. Again, there was no low-flow mitigation  
25 provided.

**AR 056508**

1 Q Now, you were here when Mr. Smith testified today?

2 A Yes, I was.

3 Q Were you here for all of his testimony today or not?

4 A No, I wasn't.

5 Q There was some discussion of a 1.0 cfs target, I  
6 believe, for Des Moines Creek.

7 Now, are you aware of any studies -- well, first  
8 off, let me ask you, have you heard of that figure  
9 being used with regard to Des Moines Creek before?

10 A Yes, I have.

11 Q In what context did that figure arise, to your  
12 knowledge?

13 A That figure came out in the 1998 401 certification as a  
14 target for Des Moines Creek.

15 Q Are you aware of any studies supporting the conclusion  
16 that there should be a 1.0 cfs target flow in Des  
17 Moines Creek?

18 MS. OSBORN: Object. This is a leading  
19 question.

20 MR. REAVIS: Well, I'm not sure it's leading.  
21 I'm just asking him if he's aware of any studies.

22 Q (By Mr. Reavis) Let me ask it this way. Are you aware  
23 of any studies discussing the actual flows in Des  
24 Moines Creek prior to the development of the material  
25 that we've talked about, studies other than yours?

**AR 056509**

1 A I'm aware of analyses that we did before our own study,  
2 and that has to do with a study that was done by the  
3 Des Moines Creek basin plan.

4 Q Is that attached or is there a page from that attached  
5 as Exhibit B to your prefiled testimony?

6 A Yes, there is.

7 Q Can you tell us what that shows with regard to flows in  
8 Des Moines Creek.

9 A What that exhibit shows in table A11 is that in the  
10 basin plan, they determine that base flow in the main  
11 stem of Des Moines Creek, under current conditions, is  
12 .55 cfs. It also determined whether or not or  
13 calculated whether or not if the watershed was  
14 completely undeveloped what the flow would be.

15 Q Now, are you aware of any studies, then, that describe  
16 a 1.0 cfs in Miller Creek?

17 A No, I'm not.

18 Q Now, in your prefiled testimony, have you described the  
19 process you went you through to identify what the  
20 low-flow impacts to these streams might be as a result  
21 of the master plan update project?

22 A Yes.

23 Q I don't want to repeat that, then.

**AR 056510**

24 Can you just tell us, then, what is the plan for  
25 mitigating those impacts, and I think in paragraph 15

1           you discussed some of them.

2   A       Well, we used three methods to mitigate low-flow  
3           impacts. The first is to evaluate the infiltration  
4           into the embankment that's being constructed for the  
5           third runway.

6           The second is to collect stormwater runoff from  
7           impervious surfaces in low-flow vaults for slow release  
8           during the low-flow period into the creeks.

9           And the third is the reduction of or the retirement  
10          of water uses that are occurring in Miller Creek.

11   Q       Let me ask you about the second of those. Where does  
12          the seepage that you talked about come from?

13          The first time you mentioned it was seepage, I  
14          believe. Where does that come from, primarily, in  
15          connection with the low-flow plan?

16   A       Seepage comes from either rain directly falling on the  
17          embankment or runoff from the new runways that runs off  
18          into the filter strips and then infiltrates into the  
19          embankment.

20   Q       With regard to detention and release, then, do you have  
21          an opinion as to whether or not the detention and  
22          release facilities can be feasibly implemented?

23   A       Yes. I believe it will be feasible to build and  
24          construct and discharge water.

**AR 056511**

25   Q       Now, you mentioned retirement of existing water uses.



1           What are you referring to there?

2   A       We determined, based on some interviews with people  
3           that had lived in the area and some other observations  
4           about pumps located in Miller Creek and the like and  
5           exploring water rights and water uses or water  
6           certificates that were in the creek and determined and  
7           made estimates as far as what kind of water uses were  
8           deemed, what kind of water uses there were from the  
9           creeks, and then knowing that since those properties  
10          have been purchased that those waters rights will be  
11          going away.

12   Q       So is that discussed, then, in the low-flow plan?

13   A       Yes, it is.

14   Q       I believe you also mentioned or it's in the low-flow  
15          plan, a term called nonhydrologic impacts.

16                 Can you explain to us what that is.

17   A       What we did is rolled together or lumped together all  
18          things that were not related directly to runoff or  
19          precipitation, and in that category are these water  
20          rights that I just talked about.

21                 We also evaluated, since there are somewhere around  
22          300, as I recall, septic tanks in the area, what would  
23          be the effect of removing those septic tanks in those  
24          houses to low flows. By taking those flows away, would  
25          there be an impact to the creek.

**AR 056512**

1 Q Now, under the low-flow plan, then, is the water being  
2 released in order to maintain a specified minimum flow  
3 rate?

4 A No.

5 Q Can you describe for us how that's being done.

6 In other words, in terms of the target flow rate,  
7 how does the low-flow plan address that, if at all?

8 A Well, much the same as when we evaluate peak flows,  
9 what we needed to do is compare existing conditions  
10 with future conditions, and by taking a number of  
11 steps, we determined what the difference would be in  
12 low flows in the creeks for a certain time period, and  
13 then we provide that much water in order to make up the  
14 difference to mitigate the impact.

15 Q Let me ask you a few questions about model calibration.  
16 First, did you have anyway role, yourself, in the  
17 actual calibration of any of the models here?

18 A No, I did not directly calibrate any of the models.

19 Q As the project manager, did you have any supervisory  
20 role over that?

21 A As the project manager, I directed the work to be done,  
22 so I found the people and hired the people that needed  
23 to do the work and would respond to questions about the  
24 calibration, and then worked with the calibrators to  
25 determine schedules and so on.

**AR 056513**

1 Q Now, did you yourself request that any peer reviews be  
2 done of that calibration?

3 A Yes, I did.

4 Q And who did you or did you suggest any particular  
5 person to do that?

6 A Yes, I did.

7 Q And who was that?

8 A Norm Crawford.

9 Q And who is Norm Crawford?

10 A Norm Crawford is a hydrologist. He's a principal of a  
11 firm called Hydrocomp, and Norm is the developer of the  
12 HSPF model.

13 Q Are there ways or are there measures or ways to  
14 determine whether or not the low-flow augmentation  
15 proposal is performing as it was intended to?

16 A Yes. There are monitoring requirements in the 401  
17 certification, and we included monitoring in our  
18 low-flow report.

19 Q Now, what happens, then, if you discover for example  
20 that the actual conditions post-construction aren't  
21 matching the model exactly?

22 A When we sized the detention facilities for the low-flow  
23 reduction, we did it considering the worst-case **AR 056514**  
24 conditions, so much the same as you've heard or you  
25 will hear certainly about stormwater management and the

1 47 years of record we have, we used the 47 years of  
2 record in order to determine when the low-flow periods  
3 would occur.

4 And using that background information, we sized  
5 things for the worst-case condition of how long would  
6 it take to fill the vaults based on the whole record  
7 and so on. So what this is, is that rather than just  
8 looking at a fairly narrow range or a less extreme  
9 range, we provided mitigation for the entire range of  
10 potential low-flow impacts within the low-flow period.

11 And what this allows us is a couple things. One is  
12 that we can modify that, so that we know that, for  
13 example, if there's water left over at the end of the  
14 season, which there usually is, because it's designed  
15 for the worst case, we can continue to let the water  
16 go, and we have that as a proposal in our low flow.

17 Another option is to simply divert more runoff from  
18 the impervious areas to additional low-flows vaults.  
19 We can construct more low-flows vaults if necessary,  
20 and the reason why this is effective is that there's a  
21 direct linkage between the amount of impervious surface  
22 that is constructed and the reduction of low flow, so  
23 the impact is coming from the impervious area, so the  
24 mitigation can come from the impervious area.

25 Q Is that an example of adaptive management?

**AR 056515**

1 A Yeah, I would call it that. That's a good example.

2 Q Let me ask you a few questions, and I don't want to  
3 repeat a lot of your written testimony, but you discuss  
4 treatment of stormwater at the airport in your  
5 prefiled; correct?

6 A That's correct.

7 Q Let me ask just a couple of questions about treatment  
8 in these vaults that we've been discussing. And the  
9 first question is, is there any treatment that happens  
10 in those vaults?

11 A Well, the low-flow vaults are not unlike, actually, a  
12 water quality, best management practice, which is  
13 called a wet vault, where you store a large pool of  
14 water and you discharge additional stormwater into  
15 there, and as the water sits there, some of the  
16 constituents that are in the stormwater can settle out,  
17 so when there's water that's discharged or collected in  
18 the low-flow vaults, that same function will occur and  
19 the constituents that are in the stormwater can settle  
20 out.

21 Q Are there additional treatment options that could be  
22 employed?

23 A Yes. There are other best management practices that  
24 are available.

25 Q With regard to the vaults?

**AR 056516**

1 A With regard to the vaults or any other stormwater.

2 Q Is the Port currently considering or reviewing any  
3 other treatment methods, besides the ones that are  
4 being used now?

5 A The Port is continually evaluating and characterizing  
6 their stormwater runoff, and you may recall --

7 MS. OSBORN: I'm going to object to this  
8 question as outside the direct and outside the  
9 discovery cutoff period. There's nothing that has been  
10 provided to indicate that the Port is considering  
11 additional other treatment methods.

12 MS. COTTINGHAM: Can you lay a foundation for  
13 that.

14 MR. REAVIS: Okay.

15 Q (By Mr. Reavis) Does the Port have an NPDES permit?

16 A Yes, they do.

17 Q Is it part of compliance with that permit to  
18 investigate additional BMPs?

19 MR. POULIN: Objection. Leading.

20 Q Is there any investigation required under the NPDES  
21 permit of treatment options?

22 A No, not specifically.

23 Q Well, what happens if new BMPs are developed?

24 MR. POULIN: Objection. Vague.

25 MR. REAVIS: I'm just asking a general

**AR 056517**

1 question about sort of development of additional  
2 treatment methods. I'm not intending to question with  
3 regard to any particular BMP, just how that is dealt  
4 with in the NPDES process.

5 MS. COTTINGHAM: I'll allow the question.

6 A The manuals, the stormwater management manuals,  
7 typically allow for new and experimental BMPs to  
8 constantly be developed, and any best management  
9 practice that's available and understood and can  
10 provide water quality enhancements or performance would  
11 be available to any stormwater discharge.

12 Q Let me just ask you a couple of questions about some of  
13 the issues that were raised by one of ACC's experts,  
14 Mr. Rozeboom.

15 And first, are these discussed in your prefiled  
16 testimony, your responses to those comments?

17 A Yes.

18 Q Let me ask you about the lining of the lagoons, and the  
19 question is, is that, in your opinion, a significant  
20 issue?

21 MR. POULIN: Objection. Vague. We've been  
22 getting objections to words like significant for eight  
23 days now.

24 Q Is that a major or a minor issue?

25 A The lining of the lagoons is small. It's under eight

**AR 056518**

1           acres, and based on our evaluation of low-flow impacts,  
2           that's an insignificant amount.

3   Q       Now, there's been some discussion about development of  
4           borrow areas, and let me ask you a question about  
5           borrow areas 3 and 4.

6                     First, were you here when Mr. Rozeboom testified  
7           about those developments proposed or possible  
8           developments?

9   A       Yes, I was.

10   Q       He referred to, I believe, an agreement between the  
11           Port and the city of SeaTac. Do you remember that?

12   A       I do.

13   Q       Do you know whether or not that agreement has ever been  
14           signed by the Port?

15                     MS. OSBORN: Objection. Lack of foundation.

16                     MR. REAVIS: I'm asking him if he knows.

17                     MS. COTTINGHAM: Sustained.

18   Q       (By Mr. Reavis) Have you investigated the status of  
19           that agreement?

20   A       Yes, I have.

21   Q       And how have you investigated that?

22   A       I contacted the Port.

23   Q       Do you know whether or not that agreement has been  
24           signed?

**AR 056519**

25                     MS. OSBORN: Objection. Hearsay.



1 MS. COTTINGHAM: I'm going to sustain that.

2 MR. REAVIS: Well, maybe I'll come back to  
3 that with another witness. That's all we have for now.  
4 Thanks.

5 MS. COTTINGHAM: Do you have any questions,  
6 Mr. Young?

7 MR. YOUNG: No, I don't.

8 MS. COTTINGHAM: I'm going to suggest that we  
9 take about a ten-minute break here. We'll come back  
10 for cross.

11 (Recess taken.)

12 MS. COTTINGHAM: We're back on the record.

13 MS. OSBORN: Thank you.

14

15 EXAMINATION

16 BY MS. OSBORN:

17 Q Good afternoon, Mr. Fendt.

18 I'd like to start with some questions about, just a  
19 follow-up to some of the questions that Mr. Reavis  
20 asked you about, and the first has to do with this  
21 attachment or this exhibit from the low-streamflow  
22 analysis that indicates depth and change of streamflow  
23 and so forth.

24 Does this show the depth and width of the streams  
25 itself?

**AR 056520**

1 A I'm not sure what you mean by itself.

2 Q Does this diagram show the depth and width of the  
3 streams, Des Moines, Miller and Walker Creek, that are  
4 discussed in the exhibit?

5 A No. It shows the change in those depths.

6 Q In particular, it doesn't show the depth in those  
7 streams at the point of compliance; is that right?

8 A What's the point of compliance?

9 MS. COTTINGHAM: You are going to have to  
10 speak up, Mr. Fendt.

11 A I'm not sure what you mean by point of compliance.

12 Q You don't know what the point of compliance is?

13 A In the context of low flow, the point of compliance?

14 Q Yes.

15 A In the context of point of compliance in low flow, I  
16 believe these are done -- if they are not at the points  
17 of compliance, it's in the vicinity of the points of  
18 compliance.

19 Q But those points of compliance, the stream diameters,  
20 widths and depths, are not shown here; is that right?

21 A The stream width and depth at those points is not shown  
22 there.

23 Q Okay. And do you know for those points of compliance  
24 for each stream, do you know what percent of the land  
25 that is above, watershed-wise, above the point of

1 compliance is airport property?

2 A I could make estimates.

3 Q Does that mean you don't know?

4 A I don't know specifically without looking it up.

5 Q Now, you indicated that you had some discussion about  
6 the areas where water will infiltrate and not  
7 infiltrate in a couple of the different basins. I  
8 think you mentioned Des Moines and Miller Creek; is  
9 that right?

10 A That's correct.

11 Q So I wanted to ask you -- this is the illustrative  
12 exhibit that was used for Dr. Leytham's testimony.  
13 It's also Exhibit No. 704.

14 Is this an example of an area where water is not  
15 infiltrating?

16 A That's an example of water sitting on a dirt surface.

17 Q Do you know where this is?

18 A I don't know specifically.

19 Q You don't know that it's on the embankment?

20 A I don't know that it's on the embankment.

21 Q I'd like to ask you some questions about your prefiled  
22 testimony, so we'll start with paragraphs 15 and 16 and  
23 then just go through the document with some questions  
24 that I have. **AR 056522**

25 In paragraph 15, you talk about the three methods

1 by which low-flow impacts can be offset and indicate  
2 one of them is seepage of infiltrated stormwater.

3 Now, doesn't appendix C of the low-flow plan  
4 provide a memo that indicates that the Port will not be  
5 using infiltration facilities on the embankment?

6 A I would have to refer to appendix C.

7 Q You don't recall what's in appendix C?

8 A I don't recall exactly what's in appendix C.

9 Q Did King County ask the Port to include infiltration  
10 facilities on the embankment?

11 A King County asked the Port to consider methods that  
12 would enhance infiltration into the embankment.

13 Q And that's documented in Kelly Whiting's memo to the  
14 Port or memo or review comments on the December 2001  
15 low-flow plan; is that right?

16 MR. REAVIS: Objection. Lack of foundation.

17 MS. COTTINGHAM: Sustained.

18 Q (By Ms. Osborn) So what you are calling an infiltration  
19 method in paragraph 15, what you are really talking  
20 about is rainfall falling on the embankment; is that  
21 right?

**AR 056523**

22 A That's correct.

23 Q Now, at paragraph 17 you state there at line 16 and 17  
24 that detained stormwater will be discharged into the  
25 streams during the normal low-streamflow period for

1 each of the streams; is that right?

2 A That's correct. That's what it says.

3 Q But you are not providing any mitigation in June or in  
4 the first 23 days in July for low-flow impacts; is that  
5 correct?

6 A It depends on which watershed that you are speaking of.

7 Q Are you providing low-flow mitigation in any of the  
8 watersheds in June or the first 23 days in July?

9 A No.

10 MS. COTTINGHAM: I'm going to have to remind  
11 you again to speak up a bit.

12 Q Looking at paragraph 21, this paragraph seems to imply  
13 that Ecology's stormwater manual calls for the  
14 collection and detention of runoff which is then slowly  
15 released to avoid flow impacts.

16 Is it your testimony that the Ecology manual  
17 identifies such a technique for low-flow mitigation?

18 A No. The Ecology manual does not have specific  
19 requirements for low-flow mitigation; however, it  
20 includes --

21 Q That's the answer. Your counsel can follow up with  
22 you, if need be.

23 Looking a little further in this paragraph, you  
24 state this is the alternative required by Ecology to  
25 mitigate impacts.

**AR 056524**

1           Wasn't the idea of using, detaining stormwater for  
2 low-flow augmentation in the summer, wasn't that the  
3 Port's idea?

4           Looking at the very last sentence in paragraph 21.

5 A       I don't understand your question. I would have to read  
6 back to see what "this is the alternative" means.

7 Q       You can look at the prior sentence for context.

8           My question is, you seem to indicate that Ecology  
9 imposes on the Port, but it was actually the Port's  
10 idea to do this; right?

11          You created the plan and said this is how we would  
12 like to mitigate impacts, low-flow impacts; is that  
13 correct?

14 A       The Port developed the plan to mitigate low-flow  
15 impacts.

16 Q       Which was then incorporated into the 401 certification;  
17 is that right?

18 A       Yes.

19 Q       Now, in paragraph 22, you state, going over into the  
20 next page, that stormwater will be detained in vaults  
21 and ponds and then released to the streams at  
22 approximately same time and in the same amount that the  
23 natural system would have provided water to the stream.

24          This statement rests on the assumption that the  
25 Port's modeling is accurate; isn't that correct?

1 A Yes.

2 Q Now, looking on page 7, paragraph 26, you are  
3 discussing peak-flow detention facilities in this  
4 paragraph, aren't you?

5 A Yes, I am.

6 Q And these are, these peak-flow detention facilities are  
7 enormous, are they not?

8 A I don't have a context for enormous.

9 Q Are they large?

10 A Compared to a regional detention facility, no.  
11 Compared to something that would be at a 7-11, yes.

12 Q And then looking at paragraph 29 on the next page, page  
13 8, you're discussing wet ponds and wet vaults and  
14 constructing wetlands with various stormwater BMPs.

15 Is it your testimony that these are projects that  
16 use detained stormwater for targeted low-flow  
17 mitigation?

18 A No.

19 Q When you describe these stormwater facilities, these  
20 are peak-flow facilities; right?

21 A No.

22 Q They are not peak-flow facilities?

23 A No.

24 Q They are treatment facilities?

25 A Yes.

**AR 056526**

1 Q You also state on paragraph 8, or excuse me, page 8,  
2 paragraph 31, the very final sentence that it's  
3 possible to determine the effects of new development to  
4 predict potential impacts with a high degree of  
5 reliability.

6 You are talking about the modeling here, is that  
7 right, the HSPF modeling for low-flow impact?

8 A What I described is that the models have the ability to  
9 determine or evaluate difference or changes due to  
10 development.

11 Q Was there any kind of sensitivity analysis done for the  
12 models?

13 A The calibration that's done, to my understanding, is --

14 Q Was there any kind of sensitivity analysis done?

15 A -- is part of the calibration is to evaluate the  
16 sensitivity of each of the parameters that are  
17 included.

18 Q Now, looking at page 10, paragraph 32, not paragraph  
19 32, paragraph 39 is what I'm looking for here, a  
20 mistake in my notes, you take issue here with  
21 Mr. Luster's statement that 1.0 cfs is needed in Des  
22 Moines Creek to maintain characteristic uses; is that  
23 right?

24 A That's correct.

**AR 056527**

25 Q And wasn't the Port required to provide mitigation to



1 maintain 1.0 cfs in Des Moines Creek in its original,  
2 in the 1998 401 that was issued and then later  
3 withdrawn?

4 A My understanding is the Port was required to provide up  
5 to 1 cfs.

6 Q Maintain a flow of 1 cfs; is that right?

7 A To provide up to 1 cfs flow.

8 Q In Des Moines Creek?

9 A In Des Moines Creek.

10 Q And then in the summer or in September of 2000, the  
11 Port offered a low-flow mitigation plan that would also  
12 have maintained up to 1 cfs in Des Moines Creek; is  
13 that right?

14 A I'm not specifically recalling that.

15 Q In any event, when you say at the bottom of the page  
16 here that the suggestion of 1.0 cfs is entirely  
17 unprecedented, you are forgetting about the Port's  
18 precedent; is that right?

19 MR. REAVIS: Objection. Argumentative.

20 MS. COTTINGHAM: Restate your question to be  
21 nonargumentative.

22 Q (By Ms. Osborn) Well, when you state here that the  
23 Mr. Luster's suggestion is entirely unprecedented, you  
24 are forgetting about the Port's 1998 section 401  
25 certification; is that right?

**AR 056528**

1 MR. REAVIS: I think that's the same  
2 question. I think it's argumentative because she is  
3 suggesting he is forgetting without asking him a  
4 question. I think it's a statement by counsel as  
5 opposed to a question.

6 MS. COTTINGHAM: Sustained.

7 Q (By Ms. Osborn) Looking at page 12, paragraph 45, first  
8 of all, could you tell me -- in this paragraph, there's  
9 some discussion of we have found this and we have also  
10 found that. Who is we?

11 A We is the Parametrix team that's working on low flow  
12 and streamflow.

13 Q And is this paragraph related to the Port's, the  
14 modeling for the Port, or is it a more general  
15 statement?

16 A This is referring to modeling done for the Port.

17 Q And you state here that new impervious surface is a  
18 predominant cause of base-flow reduction, changes such  
19 as vegetation and so forth have little or no  
20 perceptible effect.

21 So would you agree that cutting down a forest and  
22 changing the land over to, say, sports fields would  
23 have no effect on runoff?

24 A Changing land cover can have an effect on runoff.

25 Q So changing land cover in addition to changing

**AR 056529**

1           impervious surface, vegetative land cover in addition  
2           to impervious surface could have an effect; is that  
3           right?

4   A       What it says in 45 is that I'm referring specifically  
5           to the relationship of impervious surfaces to base  
6           flow.

7   Q       So is it your testimony that changing vegetative cover  
8           would not have an impact on base flow?

9   A       No. What I said is that it has, that the predominant  
10          cause for base-flow reduction is impervious surface.

11   Q       So moving on to paragraph 54 on page 15 --

12                 By the way, you state that -- well, strike that.

13                 Looking down at the bottom of the page, you have  
14                 some general discussion of modeling and calibration in  
15                 these paragraphs, and down at the bottom, you indicate  
16                 that it's improper to, you don't consider the  
17                 difference between existing measured flows and  
18                 model-predicted future flows, but what you do is you  
19                 look at the difference between the model existing flow  
20                 and model future flow; is that right?

21   A       That's correct.

22   Q       So it's critical that you model those existing flows  
23           accurately; is that right?

24   A       It's critical that you provide good data in your  
25           models.

**AR 056530**

1 Q Is it critical that your model be accurate in terms of  
2 predicting the existing conditions?

3 A Yes.

4 Q And you use calibration as one of the mechanisms to do  
5 that; is that right?

6 A Yes.

7 Q So if you undersimulate existing conditions in your  
8 model and then you go to, you attempt to monitor  
9 whether your modeling, later at postconstruction, you  
10 attempt to model whether your monitoring, excuse me,  
11 you attempt to monitor whether your modeling, model  
12 existing conditions are being met. If you  
13 undersimulate those conditions in your model, then you  
14 are going to be looking at a lower level of streamflow  
15 or what was actually existing in the stream under  
16 preconstruction conditions; isn't that right?

17 MR. REAVIS: I'm going to just object,  
18 because I don't think there's been a foundation laid  
19 for this witness to testify about the modeling. He  
20 said he didn't actually do any of the modeling here.

21 MS. OSBORN: Mr. Fendt has provided pages of  
22 analysis about modeling, the models in his prefiled  
23 testimony.

24 MS. COTTINGHAM: Are you asking him about  
25 this model or in general modeling?

**AR 056531**

1 MS. OSBORN: I can ask him specifically about  
2 the modeling.

3 Q (By Ms. Osborn) For example, in Des Moines Creek, if  
4 you undersimulate existing flows in Des Moines Creek,  
5 wouldn't that tend to lead you to believe when you are  
6 monitoring, postconstruction, that if the flows fall to  
7 that undersimulated level that in fact you are not  
8 meeting the existing targets or the existing  
9 streamflows; you are going to underpredict the impacts,  
10 too?

11 A I don't understand. I didn't hear a question, I guess.

12 Q If you undersimulate the existing conditions as, for  
13 example, in the Des Moines Creek model, and then after  
14 construction you are monitoring to see whether your  
15 modeled conditions meet what's actually going on in the  
16 stream, then you will be looking at this lower level in  
17 the stream, won't you, as modeled in the existing  
18 conditions model?

19 A You are not creating a hypothesis, that's correct.

20 Q Now, looking at page 16 of your testimony, paragraphs  
21 57 and 58, going on over to page 17, twice in here you  
22 indicate that you were discouraged by King County for  
23 making any significant changes to the calibration  
24 model; is that right?

25 A That's correct.

**AR 056532**

1 Q And so it is your testimony that even though the Des  
2 Moines Creek calibration was undersimulating flows, the  
3 regulators told you not to fix the problem?

4 A I did no evaluation of whether or not the flows were  
5 being undersimulated or not. Those were your words.

6 Q You did no evaluation of whether the flows were being  
7 undersimulated?

8 A I did not personally do that as part of the  
9 calibration.

10 Q Are you saying that the regulators told you not to do  
11 it?

12 A The regulators told us not to change the Des Moines  
13 Creek calibration.

14 Q Looking at paragraph 58, again, you say that model  
15 calibration made use of all available data and all  
16 available gages, but you didn't use data from gage 11f;  
17 is that right?

18 A That's what I recall.

19 Q And the section 401 certification required you to use,  
20 to calibrate or compare at gage 11f; is that right?

21 A I don't recall.

22 Q You don't recall whether that condition is contained in  
23 the section 401 certification?

24 A No, I don't.

25 Q Let me have you take a look at Exhibit 1. Just take a

**AR 056533**

1 moment here to find it.

2 Take a look at page 23, section B, Des Moines  
3 Creek, small Roman numeral "i." The condition states,  
4 revised plan shall provide data comparing the existing  
5 simulation of low flows against the Tyee Golf Course  
6 weir gage data.

7 Is the Tyee Golf Course weir gage, gage 11f?

8 A Yes, I believe so.

9 Q Now, looking at paragraph 60 and 61, you're addressing  
10 Dr. Leytham's comment that different infiltration  
11 parameters were used for an identical piece of  
12 property, and you acknowledged that you did that; is  
13 that correct?

14 A No, that's not what I said here.

15 Q Did you use different infiltration parameters for the  
16 same piece of property?

17 A The infiltration parameters are used and not described  
18 for the same piece of geography in, I guess it's in the  
19 real world, would be the best way to put it, rather  
20 than in the modeling world.

21 Q Now, looking at pages 18 and 19 and paragraph 63  
22 through 67, there's discussion here of the industrial  
23 wastewater system and low flow; is that right?

24 A That's correct.

**AR 056534**

25 Q And you didn't model changes in the groundwater flow

1 associated with the industrial wastewater system and  
2 the upgrade to the system, is that correct, as a part  
3 of the low-flow modeling?

4 A Would you clarify which item that is upgraded that you  
5 are referring to.

6 Q I'm thinking of, for example, the leak detection and  
7 upgrade or the lining of the lagoons.

8 A We did not evaluate the lagoon lining and report on it,  
9 nor did we evaluate the leak protection system.

10 Q Now, looking at paragraph 69, you discuss the issue of  
11 borrow areas 3 and 4, and you cite the Pacific  
12 Groundwater Group 2000 study for the statement that  
13 recharge to the shallow aquifer will increase as a  
14 result of excavating those borrow areas.

15 With respect to these excavations of borrow areas,  
16 doesn't the PGG study say that the timing of discharge  
17 in Des Moines Creek was not analyzed?

18 A I would have to go back and review the PGG study.

19 Q And the Port did a complex modeling exercise for the  
20 embankment which involved, I don't know, 17 or so  
21 million cubic yards and that involved the HSPF and  
22 Hydrus and Slice; is that correct?

23 A That's correct.

**AR 056535**

24 Q But there was no -- you didn't model the removal of  
25 about 6 million cubic yards of soil from the forested



1           uplands of Des Moines Creek; is that correct?

2   A       That's correct.

3   Q       Looking at the very top of page 26, you state, under  
4           the low-flow analysis, storage stormwater is being used  
5           solely to augment streamflows and not to ensure  
6           compliance with numeric low-flow water quality  
7           standards.

8                   Isn't the low-flow mitigation plan intended to  
9           mitigate for the narrative water quality standards  
10          which are intended to protect beneficial uses in the  
11          stream?

12                   MR. REAVIS:  Objection to the extent it calls  
13          for a legal conclusion.

14                   MS. COTTINGHAM:  I'll allow the question.

15   A       Could you repeat the question, please.

16   Q       Isn't the purpose of the low-flow mitigation plan to  
17           mitigate for the narrative water quality standards  
18           which are intended to protect the beneficial uses of  
19           the stream?

20   A       The purpose of the low-flow mitigation is to address  
21           low-flow impacts, mitigate the low-flow impacts.

22   Q       And so you state at the very bottom of your testimony,  
23           the bottom of page 28 that there's reasonable assurance  
24           that water quality impacts have been fully mitigated.

25                   Do you work for the Department of Ecology?

**AR 056536**

1 A No, I don't.

2 MS. OSBORN: That's all I have.

3 MS. COTTINGHAM: Mr. Poulin?

4 MR. POULIN: Yes.

5

6 EXAMINATION

7 BY MR. POULIN:

8 Q Mr. Fendt, Rick Poulin for CASE.

9 You said you were the author of the comprehensive  
10 stormwater management plan?

11 A That's correct.

12 Q And that's the plan that includes the Port's proposal  
13 on dealing with stormwater discharges that will result  
14 from the proposed projects?

15 A That's correct.

16 Q And you've been working on stormwater issues at the  
17 Port for a number of years?

18 A That's correct.

19 Q Let's look at two exhibits, Exhibit No. 663 and also  
20 Exhibit 139, which is the 1999 annual stormwater  
21 monitoring report.

22 MS. COTTINGHAM: What was the second number?

23 MR. POULIN: The first was 663 and the second  
24 was 139, and once you've found that second exhibit,  
25 139, please turn to page 22.

**AR 056537**

1 MS. COTTINGHAM: Page 22, did you say?

2 MR. POULIN: Yes.

3 Q (By Mr. Poulin) Now, Exhibit 663 is a memorandum on  
4 Parametrix letterhead?

5 A That's correct.

6 Q And the from line says Ken Ludwa, Paul Fendt, Linda  
7 Logan.

8 Is that your name and initials?

9 A Yes.

10 Q Is Ken -- is it Lud-wa, Lud-way?

11 A Lud-wa.

12 Q Is he one of your coworkers?

13 A Yes, he is.

14 Q Do you supervise Mr. Ludwa?

15 A Yes, I do.

16 Q And who is Scott Tobiason, the recipient of this  
17 memorandum?

18 A Scott Tobiason is a Port employee.

19 Q Now, down in the fourth bullet that's not indented,  
20 which would be the second one from the bottom --

21 Sorry. Jump to the bottom here. On the regarding  
22 line of this memorandum, it states it's a review of the  
23 1999 annual stormwater report.

24 Do you see that right up under your name?

25 A Yes.

**AR 056538**

1 Q You are reviewing that first draft of the 1999 report  
2 for Mr. Tobiason?

3 A That's correct.

4 Q You state here in that second to last bulleted  
5 paragraph: Section 4.5.3 states that standards apply  
6 to the receiving waters. This is true only if a mixing  
7 zone is allowed, otherwise standards must be met at end  
8 of pipe. A determination has not been made as to  
9 whether STIA stormwater discharges will be allowed a  
10 mixing zone. The first paragraph of section 4.5.3  
11 should be deleted.

12 And you are referring to this discussion of metals  
13 that we see on page 22 of the 1999 stormwater report,  
14 isn't that right, paragraph 4.5.3?

15 A It appears to be the reference.

16 Q And you are not aware any of mixing zone that's been  
17 granted to the Port of Seattle for stormwater  
18 discharges, are you?

19 A No, I'm not.

20 Q Are you aware of a reasonable potential analysis that  
21 was done by the Port of Seattle for the Department of  
22 Ecology?

23 A I'm sorry. Done by whom?

24 Q By the Port of Seattle and/or the Department of  
25 Ecology.

**AR 056539**

1 A No, I'm not.

2 Q You are not. Okay.

3 Let's look at Exhibit No. 662. It should be right  
4 next to that memorandum.

5 Would you agree the first page is a fax cover page  
6 that indicates it was sent by Paul Fendt?

7 A That's correct.

8 Q Second page appears to be another version of the same  
9 sent by Paul Fendt, comments copper?

10 A That's correct.

11 Q On the third page, we see water quality, talking  
12 points, copper. This is a memorandum that you sent to  
13 Barbara, is it, Hinkle?

14 A That's correct.

15 Q And who was she? Who is she, I should say.

16 A Barbara Hinkle was the Port's project manager, the  
17 manager of our contract.

18 Q And in this memorandum to Ms. Hinkle, you state under  
19 background, a four-hour reasonable potential analysis  
20 was completed during the 401 negotiations last summer  
21 to determine the effectiveness of BMPs to remove metal  
22 from stormwater.

23 You don't remember that reasonable potential  
24 analysis?

**AR 056540**

25 A I wasn't at that reasonable potential analysis, and

1           you'll note that it's in quotes, which was basically if  
2           I put it in quotes, the only reason would be it's just  
3           a way to refer to it. It wasn't truly a reasonable  
4           potential analysis.

5 Q       But whatever it was, you are aware of it, aren't you?

6 A       I was aware that it occurred.

7 Q       Yes. In fact, you wrote a memo about it, didn't you?

8 A       No. This memo is not about, whatever, about the  
9         reasonable potential analysis.

10 Q      Now, you state here that the results showed that  
11         standard BMPs would effectively remove all metals  
12         except copper. Do you remember that?

13 A      I remember the document that was prepared that  
14         reflected the study.

15 Q      No. I'm asking if you remember making this statement.

16 A      Do I remember making this statement?

17 Q      Yes.

18 A      No.

19 Q      And then in the next paragraph it says, the 401  
20         certification required that one of eight BMP treatment  
21         trains be used and that each requires a sand filter or  
22         compost filter.

23                 Do you understand what a treatment train is?

24 A      Yes, I do.

25 Q      It's a sequence of BMPs, isn't it?

**AR 056541**

1 A That's correct.

2 Q And this reference to the 401 certification must be  
3 referring to some 401 certification that took place  
4 prior to October 27th, 1998; isn't that right?

5 A Yes.

6 Q And then it states here in your memo, in the third  
7 paragraph below the bold word, issues, the Port has  
8 been required to meet water quality standards for  
9 stormwater discharges in the 401 certification. This  
10 is a departure from stormwater discharge compliance  
11 through BMPs.

12 A Yes, that's what it says.

13 Q Are you suggesting there that you don't feel the Port  
14 should be required to meet water quality standards?

15 MR. REAVIS: Objection. I think that  
16 mischaracterizes the document.

17 MR. POULIN: That's the question.

18 MS. COTTINGHAM: Can you repeat your  
19 question.

20 Q (By Mr. Poulin) Are you asserting here that you don't  
21 believe the Port should be required to meet water  
22 quality standards for stormwater discharges?

23 A What I say is what it says there and that is that the  
24 Port is required, based on the 401 certification, to  
25 meet water quality standards.

**AR 056542**

1 Q That's the previous 401 certification.

2 A That's right.

3 And the second part of it says, this is a departure  
4 from stormwater discharge compliance of BMPs.

5 Q And that's a reference to the NPDES permit, isn't it?

6 A I don't recall specifically, but I believe so.

7 Q Let's look briefly at Exhibit 652, which again is  
8 nearby the previous exhibit, in the same binder.

9 This is a preliminary comprehensive stormwater  
10 management plan and stormwater management quality plan?

11 A Yes.

12 Q Did you have occasion to review this draft in your  
13 report?

14 A I reviewed this draft around the time that it was  
15 prepared.

16 Q And if you looked at page 10 of this draft, you will  
17 see a statement under paragraph 3.3.3.

18 It states, no formal water quality treatment BMPs  
19 are in place for the SDS. That's the stormwater  
20 detention system?

21 A That's correct. No. I'm sorry. That's the stormwater  
22 drainage system.

23 Q Do you believe that statement is accurate as of the  
24 date?

25 A I believe that was our understanding in July of 1998.



1 Q That there was no formal water quality treatment BMPs  
2 in place?

3 A Not for the stormwater drainage system.

4 Q And turning to page 18 of this same document we find  
5 another discussion of the reasonable potential  
6 analysis.

7 MR. REAVIS: I'm sorry. What page?

8 MR. POULIN: Page 18, under the heading at  
9 the top, paragraph 4.

10 Q (By Mr. Poulin) It explains that preliminary reasonable  
11 potential analysis was performed, results were adjusted  
12 according to documented pollutant removal effectiveness  
13 of the BMPs, and resulting predicted pollutant  
14 concentrations were then compared to water quality  
15 criteria.

16 A That's what it says.

17 Q Were you kept abreast of this work as it proceeded?

18 A That's what I recall.

19 Q And it states here that the RPA was performed on June  
20 30th, 1998, in a working meeting attended by  
21 representatives of the Port and the Department?

22 A That's correct.

23 Q The purpose of that reasonable potential analysis was  
24 to determine whether the best management practices that  
25 the Port was considering for the third runway would

1 enable it to meet water quality standards; isn't that  
2 right?

3 A I don't recall what the purpose was.

4 Q Now, with respect to criteria, doesn't this analysis  
5 state that criteria reflecting Washington State water  
6 quality standards were calculated for Miller and Des  
7 Moines Creek and there's a reference there to table  
8 4.1?

9 A I'm sorry. Could you repeat the question.

10 Q On page 18, paragraph 5.3, it explains that criteria  
11 reflecting Washington State water quality standards  
12 were calculated for Miller and Des Moines Creek, and it  
13 refers to table 4.1.

14 A Yes.

15 Q And that table shows criteria for Des Moines Creek for  
16 copper, lead and zinc, doesn't it?

17 A Yes, it does.

18 Q And the total copper criteria is 6.7 parts per billion.

19 Do you see that?

20 A For Des Moines Creek, yes, I see that.

21 Q Now, as a result of that information, the Port embarked  
22 on a process to consider how it might possibly satisfy  
23 water quality criteria; is that right?

24 A I don't recall.

25 Q I'm sorry.

**AR 056545**

1 A I don't recall.

2 Q You don't recall.

3 Well, take a look, if you would, at Exhibit 646.

4 This is a memorandum to you from Ken Ludwa.

5 Do you remember receiving this memo?

6 A Not specifically.

7 Q It states here on the second page, using the assumption  
8 described above, pollutant concentrations are predicted  
9 to be at approximately the criteria values or less,  
10 except for copper. Copper concentrations after  
11 treatment remain higher than the criteria.

12 A That's what it says.

13 Q And in the following year, you were kept abreast of  
14 efforts to find a way to satisfy the criteria for  
15 copper; isn't that right?

16 A I don't understand what you mean by kept abreast of.

17 Q Your staff would inform you about the results of their  
18 work on the issue.

19 A No. We weren't working on the issue.

20 Q Well, let's take a look at Exhibit 645, please.

21 This is another memorandum on Parametrix  
22 letterhead. This is dated September 7th, 1999. This  
23 is some months after the reasonable potential analysis,  
24 isn't it?

**AR 056546**

25 A It's some months after the meeting that was held to

1 evaluate the removal of deficiencies in the BMPs.

2 Q And this is a memorandum to you?

3 A Yes.

4 Q From Jim Dexter?

5 A That's correct.

6 Q He's someone on your staff?

7 A He was, yes.

8 Q He was.

9 And he states here: I used a spreadsheet to  
10 calculate the reasonable potential to exceed WQC, water  
11 quality criteria, in an approach that can be classified  
12 as a dynamic modeling technique. The calculations,  
13 later in the paragraph, the calculations applied to the  
14 Des Moines Creek point of compliance, which is assumed  
15 to be the outlet of the Northwest Ponds. The effluent  
16 is assumed to be from the SDS 3 outfall.

17 Now, was that work that Mr. Dexter performed on a  
18 voluntary basis, or was he asked to do that as part of  
19 his job?

20 A Dr. Dexter was asked to do this as part of his work.

21 Q And if you turn to page 5, after a considerable amount  
22 of discussion and analysis, that I think only a  
23 scientist would love, under the table labeled,  
24 "Reasonable Potential Analysis for Des Moines Creek,"  
25 this memo states: The previous figure shows that only

1 Case No. 10 resulted in all the predicted exceedance  
2 values being negative; that is, the WQC was achieved.  
3 The assumptions in this case were a WER value of four;  
4 second, utilization of the full volume in the Northwest  
5 Ponds for mixing and additional flow control of 10 cfs.

6 And skipping a sentence, Dr. Dexter states: The  
7 conclusion I have from these simulation results is that  
8 the WER is more important than either the volume for  
9 mixing or the flow detention amount in terms of  
10 achieving WQC compliance. A WER value of 3 or greater  
11 is needed for WQC compliance.

12 And do you still not recall this work taking place  
13 under your watch?

14 A I know that we were, at some point, looking at  
15 addressing the standards as you are talking about. I  
16 really don't recall this memo.

17 Q Do you recall the conclusion stated on pages 6 that  
18 using this magnitude for the WER in combination with a  
19 greater amount of allowable mixing volume in the  
20 Northwest Ponds will allow the Port to achieve WQC  
21 compliance in Des Moines Creek?

22 A I said I don't recall this memo.

23 Q Let's see if you recall Exhibit 640. This is dated  
24 August 20th, 1999, again, from Jim Dexter to you on  
25 Parametrix letterhead.

**AR 056548**

1           If we skip to the chase, we'll see that on page 2,  
2           under findings, Dr. Dexter reports that the ambient  
3           values of total dissolved copper concentration exceed  
4           the water quality criteria in about 37 percent of the  
5           samples based on the associated water hardness value.

6           Skipping a sentence, however compared to the  
7           standard based on the minimum reported hardness value  
8           in the dataset, about 65 percent of the ambient values  
9           exceed the standard.

10           And again under conclusions, he states, the  
11           simulation results indicate that the water quality  
12           criteria is exceeded regardless of the magnitude of the  
13           streamflow. You don't recall that?

14   A       No, I don't. I know that was there analysis that was  
15           going on at the time, and usually those analyses if  
16           there's issues or problems that are related to the  
17           other work, then I'm informed of them.

18   Q       Well, let's look at Exhibit 647. Perhaps you can help  
19           me with this.

20           This appears to be some kind of project time line?

21   A       That's correct.

22   Q       And it has Parametrix, Inc. stamped in the lower left  
23           corner?

24   A       That's correct.

25   Q       And it appears to indicate the steps of, it looks like,

**AR 056549**

1 a 59-step process entitled, "Water Resources Analysis  
2 Schedule."

3 A Yes.

4 Q And you see up here that step 23 is reasonable  
5 potential analysis?

6 A Yes.

7 Q And there's a step 25, water effects ratio; step 28  
8 negotiations.

9 A Yes.

10 Q Is this the first time you've seen this exhibit?

11 A I don't recall seeing this before.

12 Q Okay. One other question. You stated that you had the  
13 low-flow modeling peer reviewed by Norm Crawford?

14 A That's correct.

15 Q But you did not follow all of Mr. Crawford's  
16 recommendations; is that correct?

17 A There were two different reviews that Dr. Crawford  
18 provided, and in the first review, we did all but one  
19 of his written comments, and we had a discussion with  
20 him about that with the low-flow team. We did not, we  
21 agreed not to do that other element, and later he did a  
22 peer review of the work that followed the work for the  
23 December 2001 low-flow plan.

24 MR. LYNCH: Excuse me. Can you speak a  
25 little louder, please.

**AR 056550**

1 Q You said you did not follow all his recommendations?

2 A What I said is that on the first -- he did two reviews.

3 He did a review of the July report, and in the July

4 report he made some recommendations, and one of the

5 recommendations we did not follow. We had a discussion

6 with him with the project team about the

7 recommendation, and he was ambivalent about the

8 comment. He felt there were arguments that were pro

9 and con on his comment.

10 Q That answers my question.

11 Has that second peer-reviewed report been produced  
12 to Appellants?

13 A I don't recall if he wrote a report, a peer-review  
14 report about it. A lot of the work was kind of  
15 real-time review. He would review work as we were  
16 doing it, and then he may have written us an e-mail,  
17 but I just don't recall right now.

18 Q Was the e-mail produced?

19 MR. REAVIS: I think he testified he wasn't  
20 sure there was one, so lack of foundation.

21 MR. POULIN: Okay. No further questions.

22 MS. COTTINGHAM: Any redirect?

23 MR. REAVIS: A little bit.

24

**AR 056551**

25



1 EXAMINATION

2 BY MR. REAVIS:

3 Q Let me ask you about this Tye Golf Course gage, and if  
4 I could ask you to refer to your prefiled direct.

5 Paragraph 58, third sentence, says the model would  
6 not have been calibrated completely to gage 11f  
7 because of lack of any record before 1995.

8 Can you explain that statement for us, please.

9 A The calibration that was done was done from the time  
10 period of 1991 through 1996, and the gage 11f only had  
11 records for two years, 1995 and 1996, so there wasn't a  
12 an ability to make a comparable calibration comparison  
13 with 11f as compared to 11c and 11e.

14 Q Did you consider 11f at all?

15 A 11f was considered by the modelers. I recall a  
16 conversation with them about it.

17 Q And who would those modelers be?

18 A The modeler on the Des Moines Creek plan would be  
19 Dr. Felix Kristanovich.

20 Q Now, you were asked some questions about the IWS system  
21 lagoons and so forth, and to your knowledge, are those  
22 master plan update projects?

23 A The IWSS lagoon plan is not a master plan project.

24 Q Do you know what the Port is doing in terms of lining  
25 lagoons and what the impetus is for doing that?

**AR 056552**

1 A The purpose of lining the lagoons is to prevent leakage  
2 and stormwater from the industrial areas at the airport  
3 from leaking into the groundwater.

4 Q Is that required by some sort of regulatory authority?

5 A My understanding is it's an element of, an outcome of  
6 work that was done in response to the NPDES permit.

7 Q Do you know if the Port has to do that work regardless  
8 of whether or not the master plan update project  
9 proceeds?

10 A My understanding is they have to, they would do it, and  
11 they are doing it whether there's a master plan update  
12 or not.

13 Q I was going to ask you about Exhibit 662, which was the  
14 memo that was faxed from you to Barbara Hinkle in  
15 October of 1998, and over on the first full page of  
16 that memo, Mr. Poulin asked you some questions about  
17 this, what you described as reasonable potential  
18 analysis, in quotes.

19 Could you just read for us that full paragraph  
20 there under the word background.

21 A A four-hour reasonable potential analysis was completed  
22 during the 401 negotiations last summer to determine  
23 the effectiveness of BMPs to remove metals from  
24 stormwater. The analysis was extremely conservative  
25 and used the methodology that has not been adopted or

**AR 056553**

1 recognized to answer questions regarding the quality of  
2 stormwater.

3 Q Now, he also asked you some questions about Exhibit 645  
4 relative to some calculations that were going on, and  
5 if I can find the paragraph here, there was a  
6 discussion of an assumed WER value.

7 Do you remember that?

8 A I remember Mr. Poulin reading that.

9 Q And is the Port in the process of conducting that type  
10 of study currently?

11 A Yes, they are.

12 Q And when do you expect that will be completed, if you  
13 know?

14 A I don't know when it will be completed.

15 Q You were also asked some questions about BMPs in the  
16 stormwater drainage system. Do you remember those  
17 questions?

18 A Yes, I do.

19 Q Are there treatment BMPs as a part of the Port's  
20 stormwater management system?

21 A There are stormwater treatment BMPs as part of the  
22 stormwater drainage system, yes.

23 Q Are you aware of any changes that occurred in the BMPs  
24 since the dates of these various memos, '98 and '99?

25 A I know there have been some BMPs applied to redirect

**AR 056554**

1 stormwater from areas that were originally draining to  
2 the storm drain system and redirecting them to the IBS  
3 system, so it would be a source controlled by a BMP.

4 MR. REAVIS: That's all I have for now.  
5 Thanks.

6 MS. COTTINGHAM: Mr. Young, do you have any?

7 MR. YOUNG: No.

8 MS. COTTINGHAM: I have a couple of questions  
9 for you. I want to make sure it's for you.

10

11

EXAMINATION

12 BY MS. COTTINGHAM:

13 Q You had talked about the allowance for new and  
14 experimental BMPs to be developed. Did you say that  
15 was allowed in the NPDES, or is that from the manual of  
16 regulations?

17 What was the source of that allowance?

18 A What I said is the allowance is typically in the  
19 stormwater management manuals.

20 Q In the manuals?

21 A Yes.

22 Q You also said that through the process of adaptive  
23 management, the Port can create more low-flow  
24 facilities. I think actually I meant vaults.

25 Is there anything that directs this in the current

1 401?

2 A I don't recall specifically being directed. I know  
3 that the monitoring describes things that we would  
4 monitor and allows for making adjustments as a result  
5 of the monitoring.

6 MS. COTTINGHAM: Thank you. Any other  
7 questions from the Board Members?

8 MR. JENSEN: Yes.

9

10 EXAMINATION

11 BY MR. JENSEN:

12 Q Mr. Fendt, do you have knowledge of any studies which  
13 would show the relative contribution to lowering base  
14 flows of impervious surfaces versus forested conditions  
15 in this project area?

16 A I know of no specific studies that makes a comparison  
17 between impervious surfaces and forested areas. I do  
18 know that in general, in having discussions with  
19 hydrologists, that true forested areas, when compared  
20 with impervious surfaces actually have a lower amount  
21 of water that's available to provide a base flow,  
22 because evapotranspiration is so high in true forested  
23 conditions.

24 MR. JENSEN: That's all I have. Thank you.

25 MR. LYNCH: No questions.

**AR 056556**

1 MS. COTTINGHAM: Are there any questions as a  
2 result of Board questions?

3 MR. POULIN: Yes, I have one, Your Honor.  
4

5 EXAMINATION

6 BY MR. POULIN:

7 Q Regarding BMP vaults, would you please turn to Exhibit  
8 1213. This is the technical appendices, volume 4 to  
9 the comprehensive stormwater management plan.

10 MS. COTTINGHAM: We don't have it, just so  
11 you know.

12 MR. POULIN: You may have a single volume of  
13 it. I'm not sure.

14 MS. COTTINGHAM: I believe we do.

15 MR. LYNCH: Could you give us the cite again,  
16 please.

17 MR. POULIN: It is volume 4, the technical  
18 appendices to the CSMP, Exhibit 1213.

19 Q (By Mr. Poulin) Appendix M, Mr. Fendt, is identified as  
20 water quality BMP cost estimates for areas determined  
21 to be nonpracticable for retrofitting.

22 A I'm sorry. I haven't found appendix M yet.

23 Q It's behind a blue tab.

**AR 056557**

24 A I don't have any tabs.

25 Q Well, why don't you look at mine, and let me pose my

1 question before I lose my copy.

2 Doesn't this appendix M indicate that among those  
3 water quality BMPs for areas determined to be  
4 nonpracticable for retrofitting are four vaults for SDS  
5 3. Those are vault numbers 1, 2, 3 and 4 and also two  
6 storm drainpipes for SDS 3 vaults?

7 MR. REAVIS: I'm going to object. I'm not  
8 sure this is responsive to any Board questions.

9 MR. POULIN: The presiding officer asked a  
10 question about the ability to use vaults for BMPs and  
11 to add them, and I think it's appropriate to point  
12 out --

13 MS. COTTINGHAM: I'll allow the question.

14 A So the question is? I'm sorry. Could you repeat the  
15 question.

16 Q Yes. Hasn't the CMP identified four vaults at SDS 3 as  
17 impracticable for retrofitting due to cost issues?

18 A What appendix M is are water quality BMP cost estimates  
19 for likely or possible or conceptual water quality  
20 facilities that could occur, and they happen to be four  
21 vaults from the SDS 3 area.

22 Q Could you please read the title page to that appendix.

23 A It says, water quality BMP cost estimates for areas  
24 determined to be nonpracticable for retrofitting.

25 Q Determined to be nonpracticable for retrofitting?

1 A That's right.

2 MR. POULIN: Thank you. No further  
3 questions.

4 MS. OSBORN: I have a question, if I might.  
5

6 EXAMINATION

7 BY MS. OSBORN:

8 Q Mr. Fendt, you indicated in the response to  
9 Mr. Jensen's question that at least mature forests  
10 might be infiltrating less water because of  
11 evapotranspiration; is that right?

12 Isn't evapotranspiration -- that occurs during the  
13 summer season; right?

14 A Evapotranspiration in a conifer forest, is my  
15 understanding, can occur year-round.

16 MS. OSBORN: That's all I have.  
17

18 EXAMINATION

19 BY MR. REAVIS:

20 Q Let me ask you a question relative to Ms. Cottingham's  
21 question about adaptive management.

22 Is there a provision in the low-flow plan that  
23 talks about contingency measures?

**AR 056559**

24 A Yes, there is.

25 Q Could you explain for us just a little bit more this



1 concept of these forested areas versus impervious cover  
2 and evapotranspiration. I just want to make sure  
3 that's understood.

4 A I think the best thing to do is to provide a little bit  
5 of background and to understand when we're doing  
6 hydrologic modeling -- I guess you've heard about what  
7 a mass balance is. I think Mr. Whiting talked about  
8 mass balance.

9 So what happens is a certain amount of rain falls  
10 on the ground, and once it falls on the ground there's  
11 certain things that happen to it. One thing that  
12 happens is it infiltrates. Another thing that happens  
13 is it runs off, and another thing that happens is some  
14 of it evaporates back into the ground where it is used  
15 by the vegetation and transpires.

16 So when we're looking at low-flow impacts, that  
17 component that can infiltrate into the ground, that  
18 becomes the part of the water that goes to the ground  
19 and comes out later as base flow, and what's been found  
20 in some studies is that rainfall that falls in mature  
21 forests or good forests can be either intercepted by  
22 the leaves and the needles of the trees and then  
23 evaporated from there or be used by them, and that  
24 amount of water can actually be greater than the amount  
25 of water that infiltrates into the ground at the same

1 time.

2 So by removing the forest, in this case, and  
3 replacing it with impervious surface, you may actually  
4 not be reducing -- you actually could be reducing the  
5 amount of -- increasing the amount of water that's  
6 available to infiltrate.

7 Q Let me ask you, does the HSPF model deal with  
8 evapotranspiration?

9 A Evaporation and transpiration and evapotranspiration is  
10 a modeling parameter.

11 MR. REAVIS: Thank you. That's all I have.

12 MS. COTTINGHAM: Do you have any questions?

13 MR. POULIN: No. Thank you.

14 MS. COTTINGHAM: Thank you. You are excused.

15 MS. OSBORN: Ms. Cottingham, before the  
16 witness is excused, he has testified to a peer review  
17 that was apparently done by Mr. Crawford that is not  
18 contained in his prefiled direct testimony. Mr. Fendt  
19 was deposed on February 8th, no mention of it in the  
20 deposition on February 8th, and we are wondering while  
21 he's here and under oath whether we might voir dire  
22 about when this peer review took place.

23 MR. REAVIS: I don't have an objection to  
24 that.

25 MS. COTTINGHAM: Go ahead.

**AR 056561**

EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MS. OSBORN:

Q That's the question, Mr. Fendt.

A There were two peer reviews that occurred. One was immediately following what I call immediately following the July 2001 report.

Q And, actually, just -- excuse me. We're familiar with that one. I've seen the documents relating to that. You referred to a peer review of the December 2001 low-flow plan.

A Yes. He reviewed the work we were doing in the December low-flow plan.

Q And when did he do that?

A He was doing it at, basically, at the same time we were preparing the report.

Q So it was in advance of the publication of the report?

A It was in advance of the publication of the report.

MS. OSBORN: Okay. Thank you. That's all I have.

MS. COTTINGHAM: You are excused now.

MR. REAVIS: Ms. Cottingham, can we stop the clock for minute and move all this stuff out of the way before we get our next witness?

MS. COTTINGHAM: Okay. Stop the clock.

One of the things as you all recall, tomorrow

1 morning when we have our conference, is I'm going to  
2 want a pretty tight budget for the remaining few hours  
3 that will be done, just to give you a sense that we're  
4 running out of time, and we still have some witnesses.

5 MR. STOCK: Ms. Cottingham, I'm not sure why  
6 the clock is stopped during the transition of their  
7 witnesses when it was running during the transition of  
8 ours.

9 MS. COTTINGHAM: We all had a bunch of  
10 documents up here that we all needed to move so.

11 MR. STOCK: Time is getting tight; that's why  
12 I'm raising it.

13 MS. COTTINGHAM: Right. Start the clock.

14 MR. REAVIS: The Port calls Steve Swenson.

15  
16 **STEVEN J. SWENSON**, having been first duly  
17 sworn upon oath or affirmed to tell the truth, the  
18 whole truth and nothing but the truth, testified as  
19 follows:

20

21 EXAMINATION

22 BY MR. REAVIS:

23 Q Would you please state your name for the record and  
24 spell your last name. **AR 056562**

25 A Steven J. Swenson, and my last name is spelled

1 S-w-e-n-s-o-n.

2 Q Mr. Swenson, how are you employed?

3 A I am employed by an engineering consulting firm, R.W.  
4 Beck.

5 Q And how long have you been employed by R.W. Beck?

6 A Since 1977.

7 Q Can you describe for us the nature of your duties.

8 First, let me ask you, are you professional  
9 engineer?

10 A Yes.

11 Q Are you licensed in the state of Washington?

12 A Yes, I am.

13 Q Can you describe for us the primary or the types of  
14 work that you do at R.W. Beck?

15 A I've been working on urban stormwater management design  
16 planning, regulatory types of issues since about 1980.

17 Q And is a copy of your CV attached to your prefilled  
18 testimony?

19 A Yes.

20 Q Does that describe the types of projects that you have  
21 worked on in the course of your work for R.W. Beck?

22 A That's correct.

23 Q Can you give us a brief summary of your educational  
24 background.

**AR 056563**

25 A I have a bachelor of science in civil engineering from

1 the University of Washington, specializing in  
2 hydrology, hydraulics, water quality, issues related to  
3 the water, wastewater, stormwater.

4 Q Have you worked in the field of stormwater management?

5 A Correct.

6 Q How long have you worked in that field?

7 A Since 1980.

8 Q In your prefiled testimony, paragraph 5, you describe  
9 what I think you call environmental impacts of  
10 uncontrolled stormwater; is that correct?

11 A Correct.

12 Q Can you tell us what those are, briefly.

13 A The primary impacts from uncontrolled stormwater are  
14 increases in peak flows, increases in pollutant  
15 concentrations from stormwater runoff picking up those  
16 pollutants, and reductions in streamflows during dry  
17 weather periods.

18 Q As part of your work, have you addressed those three  
19 issues as related to stormwater?

20 A Absolutely.

21 Q Now, are you generally familiar with the stormwater  
22 management plan developed by the Port of Seattle for  
23 the third runway project?

24 A Generally.

**AR 056564**

25 Q Can you tell us, generally, how it addresses those

1 environmental impacts, and again, I know we've heard a  
2 lot from Mr. Fendt, so if it's in your prefiled and you  
3 just prefer to rely on that, that's fine, but if you  
4 can just describe for us briefly what your  
5 understanding is.

6 A Generally, the impacts from stormwater runoff from the  
7 site are mitigated for with a number of facilities,  
8 detention facilities, water quality treatment  
9 facilities, the ponds and the vaults, infiltration, and  
10 those types of things to mitigate the three things I  
11 talked about previously.

12 Q In the course of your work, have you seen facilities  
13 like that before?

14 A Absolutely. We work on those things all the time.

15 Q Do you have any estimate about how many operating  
16 stormwater management systems there are in the state?

17 A Thousands.

18 Q And in your experience, has a water right ever been  
19 required relative to that type of stormwater management  
20 system?

21 A No.

22 MR. REAVIS: That's all we have. Thank you.

23 MS. MARCHIORO: I have no questions.

24

25

**AR 056565**

EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MS. OSBORN:

Q Good afternoon, Mr. Swenson.

A Good afternoon.

Q You spent quite a bit of ink in your declaration here talking about benefits of infiltration for purposes of maintaining base flows in streams; is that right?

A Sure.

Q Are you aware that the Port will not be using enhanced infiltration facilities on the embankment that it's constructing for the third runway?

A What do you mean by enhanced infiltration?

Q Infiltration facilities.

A I'm not familiar with the detailed location of different infiltration systems proposed on the site.

Q Now, looking at your prefiled testimony, page 7, paragraph 16, at the bottom of that paragraph you are referring to, you say, likewise the vaults and ponds being used to detain collected stormwater, are you referring to the Port's vaults and ponds? Is that right?

A I'm sorry. Where is it you are referring to?

Q I'm sorry. It's page 7, line 12, line 11 and 12.

A Okay. And what's the question. I'm sorry.

**AR 056566**

Q The question is, first of all, the first clause of this



1 is referring to the Port's vaults and ponds; is that  
2 right?

3 A Yes.

4 Q And you indicate here that they are large; is that  
5 right?

6 A Let's see.

7 Q The clause while large is modifying the clause vaults  
8 and ponds; is that right?

9 MS. COTTINGHAM: We're not on the same page  
10 that you are on.

11 MR. REAVIS: Are we on paragraph 16? That is  
12 on page 6 of mine.

13 MS. OSBORN: Oh, my God. I'm using  
14 Mr. Swenson's declaration, not his prefiled testimony.

15 No. Your testimony is dated 14th of January, 2002?

16 MS. MARCHIORO: No, it's March 7th.

17 MR. REAVIS: I think that is the declaration.

18 MS. OSBORN: Well, I'm looking at the  
19 wrong --

20 MS. MARCHIORO: Do you want to borrow mine?

21 MS. COTTINGHAM: I think we all found where  
22 you were at. You are in paragraph 16 of his prefiled  
23 testimony.

24 MS. OSBORN: Right.

25 THE WITNESS: On page 6.

**AR 056567**

1 MS. OSBORN: Right. What I'm missing is  
2 Mr. Swenson's direct testimony. I apologize.

3 MS. MARCHIORO: I didn't mark on it.

4 MS. OSBORN: I know I had it last night.

5 Q (By Ms. Osborn) Okay. So on page 6, you indicated, at  
6 line 19, you indicate that the Port's vaults and ponds  
7 are large; is that right?

8 A Yes.

9 Q Now, in paragraph 17, you state that, you're responding  
10 to ACC's contention that the stormwater management  
11 system requires a water right because it is not a  
12 typical stormwater detention project; is that right?

13 A I'm not understanding your question.

14 Q I'm just asking, with respect to paragraph 17, my  
15 question is, what prefiled testimony are you responding  
16 to here?

17 A There's -- you mean where the quote is coming from?

18 Q Right.

19 A My understanding is that -- I mean, I don't know the  
20 exact reference to where that is coming from. My  
21 understanding is that it is one of the contentions that  
22 the STIA requires a water right permit because it's not  
23 a typical stormwater detention project.

24 Q And which witness said that?

25 A I don't recall.

**AR 056568**

1 Q Did you draft this prefiled testimony?

2 A I work on this, yes.

3 Q And when did you work on it?

4 A It's dated here in March. Just recently.

5 Q And actually, this similar paragraph appears in your  
6 January declaration; right?

7 A It does.

8 Q And it also appears in your October declaration; right?

9 A I believe it does.

10 Q In fact, the testimony generally is the same for March  
11 or October and January and March?

12 A It's similar.

13 Q Okay. Are you aware that low-flow augmentation is a  
14 beneficial use under the water code?

15 MR. REAVIS: Objection. The question assumes  
16 the disputed issue.

17 MS. OSBORN: I'm asking him what he's aware  
18 of. He's asserting here that no water right is  
19 required, and so I'm exploring the limits of his  
20 knowledge with respect to when a water right is  
21 required.

22 MS. COTTINGHAM: Why don't you ask the  
23 question rather than asking him for a legal  
24 determination.

25 Q (By Ms. Osborn) You've asserted that the use of water

**AR 056569**

1 for stormwater detention does not typically require a  
2 water right; is that right?

3 A I answered the question of do I know of any stormwater  
4 facilities that have required a water right, and I said  
5 no.

6 Q Are you familiar with the requirements for a water  
7 right under the state water code?

8 A I'm not. I'm not an attorney.

9 Q Are you aware or familiar with the concept of capturing  
10 public waters for beneficial use?

11 A Again, I'm not an attorney in terms of interpreting the  
12 statutes as it relates to water rights.

13 Q Have you ever encountered a low-flow mitigation plan  
14 that detains stormwater for several months at a time  
15 and then releases it in the summer months to fulfill  
16 target rates in the streams?

17 A Oftentimes.

18 Q Is that correct?

19 A Um-hmm.

20 Q That are used for low-flow augmentation in the late  
21 summer?

22 A Yes.

23 Q Could you give us an example.

24 A There's hundreds of infiltration systems that are  
25 designed specifically to do that.

**AR 056570**

1 Q No. I didn't ask about infiltration systems. I asked  
2 about detaining stormwater in a vault.

3 A You didn't mention the vault when you asked the  
4 question.

5 Q Well, infiltration -- my understanding is that  
6 infiltration and detention are two different things.

7 A You can have -- they are -- you can have a detention  
8 system that's also an infiltration system.

9 Q So you are aware of using infiltration to achieve  
10 target rates in streams during low-flow periods?

11 A Absolutely.

12 Q To achieve target rates?

13 A Target rates -- well, to achieve predevelopment  
14 conditions.

15 Q But if you want to put water in the stream, say, at the  
16 rate of .1 cfs, do the infiltration facilities achieve  
17 that level of accuracy?

18 A You wouldn't be able to achieve that level of accuracy  
19 unless you were actually measuring it.

20 Q So going back to my question, have you encountered a  
21 low-flow mitigation plan that detains stormwater in a  
22 vault for several months at a time and then releases it  
23 in the summer months to fulfill a specific rate of flow  
24 in a stream?

**AR 056571**

25 A So do you mean generically or do you mean like these

1 vaults that are being proposed?

2 Q No, I mean generically.

3 A Generically, I've seen, like I said, a number of  
4 facilities that have been designed to augment low flow  
5 such as infiltration facilities, but using the --

6 Q That's not the question I asked you, Mr. Swenson. I'm  
7 asking about vaults.

8 A But to use just a vault to do that, I do not. I'm not  
9 aware.

10 MS. OSBORN: Thank you. That's all I have.

11 MR. POULIN: No questions for CASE.

12 MR. REAVIS: I don't have any more.

13 MS. MARCHIORO: I have no questions.

14 MS. COTTINGHAM: Any Board questions?

15 Thank you, Mr. Swenson. You are excused.

16 MR. REAVIS: Ms. Cottingham, should we go  
17 ahead and call our next witness?

18 MS. COTTINGHAM: Yes.

19 MR. REAVIS: The Port calls Joe Brascher.

20 I do have some handouts, some excerpts from the  
21 low-flow plan. I think these are also attached to  
22 Mr. Fendt's prefiled.

23 I think there's two pages here. Maybe there's  
24 three.

25

**AR 056572**



1 Q Now, does your HSPF experience include both modeling  
2 and calibration?

3 A Yes, it does.

4 Q Is experience in a particular geographic region  
5 important with regard to hydrologic modeling and  
6 calibration?

7 MS. OSBORN: Objection. It's a leading  
8 question.

9 MS. COTTINGHAM: Sustained.

10 Q (By Mr. Reavis) You mentioned that you had experience  
11 in Western Washington in doing modeling and  
12 calibration. Is that important?

13 A Yes, it is.

14 Q And why?

15 A Familiarity with soil types, precipitation patterns,  
16 available information, types of climates, all that  
17 information is very important when trying to achieve  
18 the best calibration you can achieve.

19 Q Now, when were you first retained with regard to the  
20 Port's third runway project?

21 A In 1999.

22 Q And what was the scope of work that you were given at  
23 that time?

24 A I had been asked to review the calibrations of the  
25 Walker and Miller Creek model and the Des Moines Creek



1 model.

2 Q And did that scope of work change over time?

3 A That scope of work was completed and then subsequent to  
4 that, I was retained by King County to be a part of the  
5 calibration team and to be there on their behalf, to be  
6 a part of the calibration and make sure that the  
7 calibration was as good as it could be.

8 Q Are there documents that summarize the results of your  
9 modeling and calibration efforts?

10 A Yeah. The December 2000 stormwater management plan and  
11 the December 2001 low-flow plan.

12 Q I want to ask you some questions about the modeling  
13 that you performed for this project. Can you just  
14 describe for us what you actually did?

15 A In the case of the calibration team's efforts, what we  
16 did was review, as thoroughly as possible, all the  
17 information, assumptions and data that went into the  
18 Miller and Walker Creek model, and based on our review,  
19 we made changes, updated, upgraded and improved the  
20 model in every way we could. Subsequent to that, we  
21 then used the model, the model was then used by the  
22 Port.

23 Q And when did you start that particular process that you  
24 talked about?

25 A That was in July of 2000.

**AR 056575**

1 Q After that time, did you actually make changes to the  
2 model as a result of the calibration or were you just  
3 calibrating.

4 A That effort was specifically to calibrate.

5 Q How long did that effort continue?

6 A That effort was, the calibration effort itself was  
7 resolved in August.

8 Q Of?

9 A Of 2000.

10 After that, there were a couple of occasions where  
11 further enhancements to the calibration models  
12 themselves were made.

13 Q Now, you mentioned, I think, in that last topic, Miller  
14 and Walker creeks. After that first scope of work that  
15 we discussed, did you do any more work with regard to  
16 Des Moines Creek?

17 A I did not.

18 Q Can you describe for us, briefly, what the calibration  
19 process generally entailed.

20 A The process of calibration is to get, to collect all  
21 the information you can on the watershed you are  
22 calibrating, to get the information to be as accurate  
23 as you can, achieve understanding that you are modeling  
24 a large area and generalized assumptions need to be  
25 made in order to actually complete the work.

**AR 056576**

1           So you collect the soils information. You collect  
2 land use, land cover, vegetative cover information.  
3 You break it up into various drainages, subbasins and  
4 the like, and then during your process, you compared it  
5 to observed or measured data to get an idea of how well  
6 you are doing.

7 Q     And what exactly are you comparing?

8 A     In general, you would compare any information related  
9 to your watershed. It could be a stream gage,  
10 streamflow information. It would be lake level  
11 information. It could be level information for  
12 wetlands or other features out there, but in general  
13 you are looking for any measured information of the  
14 actual physical features in the watershed.

15 Q     We've seen with regard to some other witnesses, what  
16 are called hydrographs.

17 A     Correct.

18 Q     Is that something you use in model calibration?

19 A     It's a very good tool for calibration, because the  
20 picture tells a thousand words and it's a very good way  
21 to take in a lot of information.

22                                     (Off the record.)

23           MS. COTTINGHAM: Sorry for the disruption.

24           MR. REAVIS: I can't remember if we were in  
25 the middle of a question or an answer.

**AR 056577**

1 MS. COTTINGHAM: You were in middle of an  
2 answer.

3 MR. REAVIS: Could we read back the last  
4 question?

5 THE COURT REPORTER: "Is that something you  
6 use in model calibration?"

7 MS. COTTINGHAM: It was a hydrograph, was  
8 your question.

9 MR. REAVIS: Let me just ask it again, and we  
10 can start the answer over again.

11 Q (By Mr. Reavis) Is that hydrograph something you use in  
12 your practice or profession?

13 A Yeah. The hydrograph is an important tool in  
14 calibration. It's a good way to get a look at a large  
15 amount of data in just one eyeshot, so it's very  
16 useful.

17 Q Are you trying to match up hydrographs and calibration?

18 A You are trying to bring your simulated hydrograph close  
19 to the observed or measured hydrograph, yes.

20 Q Can you get a perfect match ever?

21 A I've never achieved a perfect match. In my book,  
22 that's impossible.

23 Q So what is the goal, then, for an acceptable  
24 calibration?

25 A There's really a couple of goals. The first is to do

**AR 056578**

1 as good a job as you can representing the measured  
2 data. Also, understanding the measured data and  
3 inherent errors that there are in measured data, you  
4 want to be able to investigate those and make sure you  
5 are not trying to match something that's not real.

6 And finally, you want to make sure that the  
7 information that goes into your model is defensible,  
8 that it's something you can support with data, and it's  
9 something that you know is real and is occurring in the  
10 watershed.

11 Q Now, if you have something that's not a, for lack of a  
12 better term, a perfect match, what are the possible  
13 explanations for that?

14 A You couldn't match measured data for great number of  
15 reasons. It could be that there's something that you  
16 don't know about the information you are trying to  
17 match. The data that you are trying to match to, there  
18 could be something wrong with it.

19 There could be some circumstances that occur in the  
20 watershed temporarily and no longer take place or only  
21 happened for a short period of time and no one was  
22 really aware of it, so you can't reflect that in your  
23 model. You could have problems with precipitation data  
24 itself. You could have information that you aren't  
25 aware of that you need to include in your model. It

1           could be -- groundwater conditions oftentimes cause  
2           problems because it's very difficult to know what's  
3           under the ground.  It's hard to know how much water may  
4           be contributing to your watershed from outside your  
5           watershed or how much you may be losing to a deeper  
6           aquifer.  Primarily, that's what ends up being your  
7           toughest hurdle when you have groundwater issues.

8   Q       How do you, then, determine when a good match is good  
9           enough?

10  A       For me, it's when you have reflected in the opinion of  
11           the judgment of the modeler, you've reflected the  
12           general behavior of the watershed as closely as  
13           adjusting the parameters will allow you to do, and you  
14           are confident that the data you have in the model is as  
15           good as you can get.  You've done the research to  
16           understand that your information is about as good as  
17           you are going to get it.  At that point, there's really  
18           nothing more for you to do, so the model is calibrated.

19  Q       Now, let's talk about Miller Creek calibration first.

20           Did you calibrate the Miller Creek model on your  
21           own, or did you work with other people?

22  A       No.  I was part of a calibration team.

23  Q       And who was on that team?

24  A       Kelly Whiting from King County and Dave Harms from  
25           Parametrix.

**AR 056580**

1 Q Now, do you remember what sort of data you used for the  
2 Miller Creek calibration?

3 A Yeah. We used two gages for Miller Creek 42b up here  
4 at the regional detention facility and 42a down near  
5 the mouth.

6 Q Can you tell us where this figure 2-1 comes from?

7 A 2-1 comes from the December 2000 stormwater management  
8 plan.

9 Q I'm sorry. Which gages again?

10 A 42b and 42a.

11 Q Which are?

12 A Up here near the regional detention facility and down  
13 near the mouth.

14 Q Now, what were the results of your calibration at  
15 Miller Creek?

16 A The results were, in general, a pretty good mass  
17 balance. You've heard that discussed earlier today.  
18 We did a fairly good job of matching the volumes of the  
19 measured data. The peaks, I think, I believe were  
20 good. They showed a good range, and the low flow was  
21 fairly consistent as well.

22 Q Now, are the results of that calibration represented in  
23 documents somewhere?

24 A In many different forms. The results are in a number  
25 of the different documents. I believe they are

**AR 056581**

1 summarized in table 2-1 of the December 2001 low-flow  
2 plan.

3 Q And that's part of the handout that I had handed out  
4 just a minute ago.

5 And that's the first table on page 2-3; is that  
6 correct?

7 A Yes, it is.

8 MS. COTTINGHAM: Can you remind me again what  
9 exhibit number this is.

10 MR. REAVIS: The low flow, 1308.

11 MS. OSBORN: I would make an objection on  
12 foundation here. During Mr. Brascher's deposition, he  
13 didn't know who had done these tables or where they  
14 come from.

15 MR. REAVIS: Let me just ask him about that.

16 Q (By Ms. Reavis) Do you remember being asked questions  
17 at your deposition about these tables?

18 A Yes, I do.

19 Q And what was your answer at that time?

20 A The question was erroneous that was asked me during my  
21 deposition. It was phrased to me that these numbers  
22 were used to determine the low-flow mitigation, in  
23 which case I looked at them and determined that there  
24 was no way they were used to determine low-flow  
25 mitigation and then became confused about the origin of



1 the table at that time based on the assumptions that  
2 weren't here in the question.

3 Subsequent to that, I went back and looked at it.  
4 In fact, I did generate these tables for the low-flow  
5 plan, and they have nothing to do with the mitigation  
6 of the low flow.

7 Q Do you have an opinion as to whether or not the  
8 information represented in these tables is an  
9 acceptable calibration?

10 A I have an opinion, because --

11 MS. OSBORN: I still have an objection as to  
12 foundation.

13 MR. REAVIS: I think he said he went back and  
14 looked at it and he refreshed his memory or determined  
15 these were in fact the tables that he prepared.

16 MS. COTTINGHAM: I'm going to overrule the  
17 objection.

18 Q (By Mr. Reavis) Do you have an opinion about whether or  
19 not this is an acceptable calibration?

20 A I can make an opinion based on what else I know about  
21 Miller Creek. I would not say that a calibration is  
22 acceptable or not based on one or two tables.

23 Knowing what I know about Miller Creek and then  
24 also looking at this information here, I would  
25 definitely say that there's a fairly good low-flow

1 calibration involved here.

2 Q Let's move on, then, to Walker Creek. Did you use a  
3 similar procedure to calibrate Walker Creek?

4 A It was similar, except in the original calibration  
5 process, we used only gage 42e down near the mouth of  
6 Walker Creek, and the calibration team was not aware of  
7 the upper gage at that time.

8 Q Have you since learned anything about the upper gage?

9 A Yeah. We were made aware of the upper gage by comments  
10 by ACC, so subsequent to that, we went back and  
11 included the upper gage information and compared it  
12 with our simulation results.

13 Q Now, let me ask you, then, about the next page of this  
14 handout, table 2-3 and table 2-4, which refer to Walker  
15 Creek.

16 Do those include consideration of this second gage?

17 A Yes, they do.

18 Q Can you tell us what the results are, just summarize  
19 the results of the calibration of Walker Creek?

20 A As pertains to these overall or as it pertains to these  
21 tables?

22 Q Just overall, if you would start there.

23 A The Walker Creek calibration was -- the results of  
24 which are a fairly good mass balance once again -- an  
25 undersimulation of the peak events and a fairly

1 representative low-flow calibration.

2 Q Have you been made aware of any concerns raised by  
3 Kelly Whiting regarding potential impacts of 1994 land  
4 conditions on the calibrations?

5 A Yes, I have.

6 Q And did Mr. Whiting request some sort of report be  
7 prepared relating to that?

8 A Yes, he did.

9 Q I don't want to ask you about any communication you had  
10 with Mr. Whiting or documents that may have been  
11 transmitted, but have you considered Mr. Whiting's  
12 concerns yourself?

13 A Yes, I have.

14 Q Do you have an opinion about whether or not those  
15 concerns will affect your calibration?

16 MS. OSBORN: We'll object both on the basis  
17 of the prehearing order, the order excluding  
18 Mr. Brascher's testimony, striking testimony, and also  
19 on the basis that this information was never produced  
20 to ACC pursuant to Civil Rule 26B requiring  
21 supplementation of expert witness testimony.

22 We're substantially prejudiced by his ability to  
23 testify about his opinions and what he's done without  
24 them providing us that information. **AR 056585**

25 MR. REAVIS: Well, I guess with regard to --

1 let me start first with the Board's order on that.

2 It was in paragraph 13, I think, is what I'm  
3 referring to of his prefiled.

4 MS. COTTINGHAM: Line 13?

5 MR. REAVIS: Paragraph 13, starting with line  
6 13, correct, of the prefiled. This is on page 5.

7 MR. POULIN: Which Board order are you  
8 referring to?

9 MR. REAVIS: This is his prefiled testimony.  
10 I guess I'm referring to the order that related to  
11 low-flow issues and Kelly Whiting's comments, and  
12 really what I'm trying to do is just ask him to testify  
13 about that second sentence there. I'm not going into  
14 the third sentence, which is the sentence that was  
15 struck.

16 So it's really his own evaluation, which I  
17 understood to be a matter that could come into evidence  
18 not withstanding the Board's order. That was sort of  
19 where the line was drawn between his own evaluation and  
20 what he intends to do to modify the low-flow plan.

21 MS. COTTINGHAM: Let me restate what the  
22 order says.

23 The Board will allow counsel to use the prefiled  
24 testimony and direct and cross-examination to elicit  
25 how Ecology or the Port felt about or evaluated the

1           comments of Kelly Whiting produced on or before the  
2           deadline, but those witnesses may not indicate either  
3           in the prefiled or in oral what the Port or Ecology has  
4           done since February 28th.

5           So you may elicit how Ecology or the Port felt  
6           about it, or their consultants in this case.

7           MS. OSBORN: And, Ms. Cottingham, just to  
8           clarify here, I assume that the idea here is to make,  
9           for this order to be consistent with the prehearing  
10          order of October 30th, is that right, that both still  
11          stand?

12          MS. COTTINGHAM: Yes.

13          MS. OSBORN: The October 30th order prohibits  
14          the use of -- at page 4 that states that Ecology and  
15          the Port are prohibited from relying at the hearing on  
16          any plan or report prepared after February 1st, 2002.

17          And so we assume that when we talk about  
18          information in the order that you just quoted from, the  
19          March 22nd order, that the information that is  
20          discussed in there is not information that would be  
21          directly, work that was directly done on the plans or  
22          reports after February 1st.

23          MS. COTTINGHAM: It's not work done on, but  
24          the actual plan themselves, as the earlier deadline,  
25          but information created after that earlier deadline,

1 but before the discovery cutoff, is what we're talking  
2 about here.

3 MS. OSBORN: Well, I think the Port  
4 interpreted the prehearing order as we did, because  
5 they certainly didn't produce any such information to  
6 us between February 1st and February 28th.

7 MR. REAVIS: I have a couple of responses,  
8 but if this is going to go on for a while could we stop  
9 the clock?

10 MS. COTTINGHAM: We can.

11 MR. REAVIS: I mean, regardless of the prior  
12 prehearing order, this was the issue that was  
13 specifically addressed with regard to all of these  
14 Kelly Whiting comments. It seems to me we need to  
15 refer to March 4, entered later, to deal with this  
16 particular question. So I guess I would like to be  
17 able to ask Mr. Whiting exactly what the Board's order  
18 says: How did you feel about Mr. -- I mean ask  
19 Mr. Brascher; how did you feel about Mr. Whiting's  
20 comment?

21 MS. OSBORN: And we would argue that  
22 information should have been produced to us. It was a  
23 new opinion of an expert witness and I don't have my  
24 rule book in front of me, but... **AR 056588**

25 MR. REAVIS: Well, it's in the prefiled

1 testimony, so to the extent there's a disclosure, it  
2 was clearly done before the hearing started.

3 MS. OSBORN: It's was not done before our  
4 witnesses looked at it, before we prepared our case.  
5 February 28th is the cutoff, and that's when it should  
6 have been produced.

7 MR. REAVIS: I think we're retreading the  
8 same ground that the Board has already ruled on.

9 MS. COTTINGHAM: Right. So I'm going to  
10 allow the questioning to continue. If there's a  
11 particular answer that you believe violates this  
12 prehearing order, or not prehearing, but this order on  
13 testimony, you may raise it.

14 MR. REAVIS: Thank you.

15 Q (By Mr. Reavis) How did you feel about Mr. Whiting's  
16 comments regarding those 1994 land use conditions and  
17 the Miller and Walker Creek calibrations?

18 A The comments were pointed at some issues in the models,  
19 and my opinion was that they would have very little  
20 impact on the results.

21 Q Were you present when Dr. Malcom Leytham testified?

22 A Yes, I was.

23 Q Do you recall a discussion about whether modeling is an  
24 iterative process?

25 A I do.

**AR 056589**

1 Q Is it, in your opinion, an iterative process?

2 A Very much so, yes.

3 Q Are there any particular published standards or  
4 guidelines about how to exercise this judgment that  
5 you've been referring to?

6 A No, there are not.

7 MR. REAVIS: That's all I have. Thanks.

8 MS. COTTINGHAM: Mr. Young, do you have any  
9 questions?

10 MR. YOUNG: No.

11 MS. COTTINGHAM: Cross-examination.

12 MS. OSBORN: Thank you.

13

14 EXAMINATION

15 BY MS. OSBORN:

16 Q Good afternoon, Mr. Brascher.

17 In your prefiled testimony, you discussed some  
18 testimony that was provided by Mr. Rozeboom, and you  
19 suggest that he has been asking for use of a single  
20 model for modeling of the embankment; is that right?

21 A Can you point me to that.

22 Q Page 3, paragraph 9.

23 MS. COTTINGHAM: Of?

24 MS. OSBORN: Prefiled testimony.

25 MS. COTTINGHAM: His? Of Mr. Brascher's

**AR 056590**



1 prefiled?

2 MS. OSBORN: That's correct.

3 A Page what?

4 Q Page 3, paragraph 9. It's the apples-to-oranges  
5 discussion.

6 You are familiar with what I'm talking about?

7 A Yes.

8 Q So are you aware that what Mr. Rozeboom was actually  
9 talking about was not the use of a single model, but  
10 the problem of using one model to model existing  
11 conditions and then use of another model or suite of  
12 models to model future conditions?

13 A I'm not aware of that.

14 Q Now, you were just testifying about calibration of the  
15 models at the Miller and Walker creeks and that  
16 calibration was done with data from both gages at the  
17 mouth of the creeks and also at the upper gages; is  
18 that right?

19 A I don't believe that's what I said.

20 Q I'm sorry. You were discussing the use of gaging data  
21 at the mouth of Miller Creek and then at an upper gage;  
22 is that right?

23 A Correct.

24 Q And are you familiar with the point of compliance for  
25 low flow in Miller Creek?

**AR 056591**

1 A In general, yes.

2 Q Can you point out where it is on the map?

3 A The point of compliance is, in general, in this area.

4 Q That's for Miller Creek?

5 A Yes.

6 Q Could you show it for Walker Creek also.

7 A Point of compliance for Walker Creek is roughly  
8 identical to the gage.

9 Q And how about with the Des Moines Creek; do you know  
10 where the points of compliance are there?

11 A I have no idea.

12 Q Now, regarding the use of hourly versus 15-minute time  
13 steps, are you aware that the King County manual  
14 requires use of 15-minute time steps for water quality  
15 facilities?

16 A I'm not sure what the King County manual requires as it  
17 refers to water quality facilities.

18 Q Now, you agreed, didn't you, in your prefiled testimony  
19 that the use of 15-minute time steps would show greater  
20 runoff and less infiltration; is that right?

21 A It's slightly greater. I'm not sure.

22 Q You also stated in your prefiled testimony, page 11,  
23 paragraph 32, lines 15 and 16, that the key concern as  
24 it relates to time steps selected and applied is  
25 consistency, so accuracy is not the key concern?

1 A Consistency and accuracy are brothers.

2 Q Your testimony here is that consistency is the key  
3 concern?

4 A That's what I said.

5 Q And the use of 15-minute time steps would probably  
6 provide more accurate --

7 A I wouldn't reach that conclusion.

8 Q Did you model the 15-minute time steps?

9 A In this case, no.

10 MS. OSBORN: That's all I have.

11 MS. COTTINGHAM: Mr. Poulin?

12 MR. POULIN: No questions for CASE.

13 MS. COTTINGHAM: Any redirect?

14 MR. REAVIS: I have just a couple.

15

16 EXAMINATION

17 BY MR. REAVIS:

18 Q The 15-minute time step issue, can you explain for us  
19 what data is used if you are going to use a 15-minute  
20 time step.

21 A The data provided for King County use right now is one  
22 that has been disaggregated or generated from measured,  
23 observed hourly data. So the data itself is not real  
24 15-minute data. It's what's considered stochastically  
25 generated 15-minute data such that it involves

**AR 056593**

1 probabilities that are likely to have precipitation  
2 that reflects typical patterns of hourly precipitation  
3 in the area, but it is not real data.

4 MR. REAVIS: That's all I have. Thank you.

5 MS. COTTINGHAM: Any Board questions?

6 MR. LYNCH: No.

7 MS. COTTINGHAM: Thank you.

8 MR. REAVIS: Mr. Ellingson is here. I don't  
9 know if it makes any sense to start him right now.

10 We can start. I may be able to finish his direct  
11 or it may run a little bit after five.

12 MS. COTTINGHAM: Tell me about the remaining  
13 people. Is there anybody after Kelley?

14 MR. REAVIS: Yes, there is.

15 MS. COTTINGHAM: Stop the clock, please.

16 MR. REAVIS: The lineup after Kelley, there's  
17 one, two, three, four witnesses after Kelley.

18 MS. COTTINGHAM: Ten witnesses. Can we fit  
19 them all in tomorrow?

20 MR. REAVIS: Probably not, but we can get  
21 pretty close, I think, because of the time limits, our  
22 directs are going to be pretty short, but I'm not sure  
23 if we can finish all of them tomorrow. I guess we'll  
24 have to see.

25 MS. COTTINGHAM: Why don't we adjourn for the

1 evening today. Why don't you say what you need to  
2 first.

3 MR. POULIN: I would be happy to give you the  
4 clock time. I have another concern before we go off  
5 the record.

6 MS. COTTINGHAM: Okay.

7 MR. POULIN: The clock time, Appellants have  
8 used two hours, 15 minutes, 40 seconds.

9 And Respondents have used two hours, 15 minutes,  
10 and 27 seconds.

11 MS. COTTINGHAM: We have ten hours left,  
12 close to it. Less than that, a little bit.

13 Let me do the math. Never do math in public  
14 without a calculator.

15 We have, approximately, six hours tomorrow, and  
16 approximately two and a half hours in the morning on  
17 Friday, so we're getting close. I still want us to be  
18 done at or about noon.

19 Would you want -- I know we're going to do a  
20 conference in the morning tomorrow. What's the wishes  
21 of the parties?

22 MR. REAVIS: I guess I would like -- I think  
23 we can sit down this evening and go over our witnesses  
24 and see if we can trim things down and be able to  
25 report tomorrow on that.

**AR 056595**

1 MS. COTTINGHAM: Can you do a budget on your,  
2 both parties, on your cross-examination and your  
3 rebuttal witnesses.

4 MR. POULIN: I'm not sure what you mean, but  
5 we've been tracking our time pretty closely and using  
6 it accordingly.

7 MS. COTTINGHAM: Okay.

8 MR. POULIN: Is it appropriate to bring up  
9 the matter?

10 MS. COTTINGHAM: Go ahead.

11 MR. POULIN: It has come to my attention and  
12 our attention that yesterday during the lunch break  
13 when there was virtually no one in the room, a Port  
14 employee was observed accessing the exhibit files, not  
15 only our files, but also files behind the Board's  
16 counter, and I would be happy to give you not only the  
17 name of the witness, but the name of the Port employee,  
18 and we'd like some explanation as to what was going on  
19 and why.

20 We don't have any information to suggest an  
21 impropriety, but it's a matter of some concern since we  
22 don't have an idea why this individual, who is not a  
23 witness, or ordinarily authorized to --

24 MS. COTTINGHAM: Was it one of the  
25 paralegals? They've been doing that.

**AR 056596**

1 MR. POULIN: No. It was Mr. Scott Tobiason,  
2 who was considered as a Port witness. He's a  
3 stormwater manager up here with Mr. Smith who testified  
4 earlier today.

5 MR. REAVIS: He's a client representative. I  
6 don't know why he was looking through the exhibits. I  
7 would be happy to ask him. I suspect he doesn't know  
8 necessarily whose are whose.

9 MR. POULIN: I think it's pretty clear whose  
10 are whose based on their location in the room, and we  
11 would like some explanation as to why he felt it  
12 necessary to access the files that don't belong to the  
13 Port.

14 MR. REAVIS: We would be happy to talk to  
15 him.

16 MS. COTTINGHAM: Why don't we report back  
17 tomorrow morning on that.

18 With that we will stand adjourned.

19 MR. PEARCE: One thing, Ms. Cottingham, I  
20 don't know if it needs to be on the record, but in  
21 terms of our order of witnesses, we're going to -- and  
22 we've already talked to ACC about this at the lunch,  
23 because of Mr. Cheyne's and Mr. Stubblefield's  
24 schedules, we would like to put them on in the morning  
25 tomorrow. We'll insert them in either before or after

1 Mr. Ellingson, whatever works best.

2 MS. COTTINGHAM: Cheyne?

3 MR. PEARCE: Yes. After Mr. Brascher,  
4 probably Michael Cheyne and then Bill Stubblefield.

5 MR. STOCK: And ACC has no objection.

6 MR. POULIN: No objection from CASE.

7 MS. COTTINGHAM: And who are other two that  
8 are not on the list?

9 MR. PEARCE: That would be Jan Cassin,  
10 C-a-s-s-i-n. She'll come before Mr. Kelley.

11 MR. REAVIS: And Mike Bailey, who may be the  
12 last witness.

13 MR. STOCK: Who did you say is going to be  
14 before Ellingson?

15 MS. COTTINGHAM: Cheyne and Stubblefield.

16 MR. REAVIS: He's pretty short, so we can do  
17 him before Ellingson and he can get out of here. I  
18 don't have a strong preference.

19 MR. PEARCE: Neither do I.

20 MS. COTTINGHAM: Can you go out and use the  
21 flip chart to recreate this so everyone can read it.

22 Thank you. And with that, we will actually go off  
23 the record and adjourn for the evening.

24 (Day 8 of the hearing adjourned.)

25

**AR 056598**



