

RECEIVED  
MAY 13 2002

ENVIRONMENTAL  
HEARINGS OFFICE

BEFORE THE POLLUTION CONTROL HEARINGS BOARD  
STATE OF WASHINGTON

AIRPORT COMMUNITIES COALITION, )  
 )  
 Appellant, )  
 )  
 CITIZENS AGAINST SEA-TAC )  
 EXPANSION, )  
 )  
 Intervenor/Appellant, )  
 )  
 vs. )  
 )  
 STATE OF WASHINGTON, )  
 DEPARTMENT OF ECOLOGY, and )  
 PORT OF SEATTLE, )  
 )  
 Respondents. )

PCHB No. 01-160

TRANSCRIPT OF PROCEEDINGS

DAY NINE

March 28, 2002  
Lacey, Washington

ORIGINAL

Kim L. Otis  
Certified Court Reporter  
OTIS\*KL441C9  
GENE BARKER & ASSOCIATES, INC.  
Certified Court Reporters  
406 Security Building  
Olympia, Washington 98501  
(360) 943-2693

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BE IT REMEMBERED that the above-entitled matter came on for hearing before the Pollution Control Hearings Board, Day Nine commencing on the 28th day of March, 2002, and continuing through Day Ten, the 29th day of March, 2002. The hearing was conducted at the Environmental Hearings Office, 4224 6th Avenue SE, Rowe Six, Building, Lacey, Washington.

Sitting as the Washington State Pollution Control Hearings Board were KALEEN COTTINGHAM, presiding; ROBERT JENSEN, Board Chair, and BILL LYNCH, Member.

A P P E A R A N C E S

For the Appellant Airport Communities Coalition:

PETER J. EGLICK  
KEVIN L. STOCK  
MICHAEL WITEK  
Attorneys at Law  
HELSELL FETTERMAN  
1500 Puget Sound Plaza  
1325 Fourth Avenue  
Seattle, WA 98111  
  
RACHAEL PASCHAL OSBORN  
Attorney at Law  
2421 West Mission Avenue  
Spokane, WA 99201

For the Intervenor Citizens Against Sea-Tac Expansion:

RICHARD A. POULIN  
Attorney at Law  
SMITH & LOWNEY  
2317 E. John Street  
Seattle, WA 98112

**AR 056601**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

For the Respondent  
Department of Ecology:

JEFF B. KRAY  
JOAN MARCHIORO  
THOMAS J. YOUNG  
Assistant Attorneys General  
OFFICE OF THE ATTORNEY GENERAL  
P.O. Box 40117  
Olympia, WA 98504-0117

For the Respondent  
Port of Seattle:

GILLIS E. REAVIS  
Attorney at Law  
BROWN, REAVIS & MANNIN  
1191 Second Avenue, Suite 2200  
Seattle, WA 98101

ROGER PEARCE  
STEVEN G. JONES  
Attorneys at Law  
FOSTER, PEPPER & SHEFELMAN  
1111 Third Avenue, Suite 3400  
Seattle, WA 98101

**AR 056602**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

PAGE REFERENCE

PRELIMINARY MATTERS 9-0001 - 9-0013

COLLOQUY (Motion to Exclude Prefiled  
Testimony of Michael Cheyne) 9-0014 - 9-00

TESTIMONY

MICHAEL CHEYNE

By Mr. Pearce 9-0023 - 9-0024  
By Mr. Stock 9-0024 - 9-0028  
By Mr. Pearce 9-0029 - 9-0029

CHARLES "PONY" ELLINGSON

By Mr. Reavis 9-0030 - 9-0044  
By Ms. Osborn 9-0044 - 9-0048  
By Mr. Reavis 9-0049 - 9-0050  
By Mr. Young 9-0050 - 9-0050  
Board Questions 9-0051 - 9-0051

WILLIAM STUBBLEFIELD, Ph.D.

By Mr. Pearce 9-0053 - 9-0068  
By Mr. Poulin 9-0069 - 9-0086  
By Mr. Pearce 9-0087 - 9-0090  
Board Questions 9-0091 - 9-0093

LINN GOULD

By Mr. Reavis 9-0095 - 9-0111

COLLOQUY (Motion to Limit Testimony  
of Ms. Gould) 9-0111 - 9-0115

LINN GOULD

By Mr. Kray 9-0115 - 9-0116  
By Mr. Witek 9-0116 - 9-0123  
By Mr. Reavis 9-0124 - 9-0125  
Board Questions 9-0126 - 9-0126

**AR 056603**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

PAGE REFERENCE

TESTIMONY

ELIZABETH CLARK

By Mr. Reavis 9-0127 - 9-0132  
By Mr. Stock 9-0132 - 9-0142  
By Mr. Reavis 9-0142 - 9-0147  
Board Questions 9-0147 - 9-0148  
By Mr. Stock 9-0148 - 9-0148

MICHAEL RILEY, Ph.D.

By Mr. Reavis 9-0149 - 9-0165  
By Mr. Witek 9-0165 - 9-0175  
By Mr. Reavis 9-0175 - 9-0178

JOHN STRUNK

By Mr. Reavis 9-0179 - 9-0185  
By Mr. Stock 9-0185 - 9-0198  
By Mr. Reavis 9-0199 - 9-0203

JAN CASSIN, Ph.D.

By Mr. Pearce 9-0203 - 9-0216  
By Mr. Eglick 9-0217 - 9-0227  
By Mr. Pearce 9-0227 - 9-0228  
Board Questions 9-0229 - 9-0230

**AR 056604**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

<u>NUMBER</u>	<u>DESCRIPTION</u>	<u>IDENTIFIED</u>	<u>ADMITTED</u>
1023	Resume and Curriculum Vita for expert witnesses	9-0024	
0045	Letter from Northwest Hydraulics Consultants to Corps of Engineers 11-26-01	9-0025	
0804	Amendment to Interlocal Agreement between City of SeaTac and Port of Seattle	9-0026	
1178	Pacific Groundwater Group Hydrologic Studies Report 6-19-00	9-0033	
1305	Pacific Groundwater Group SeatTac Third Runway Embankment Fill Modeling in Support of Low Streamflow Analysis 11-27-01	9-0034	
1118	Parametrix Water Effect Ratio Screening Study at STIA	9-0057	
0649	Memorandum from Todd Pollard to Keith Smith 2/29/00	9-0062	
0686	2001 City of Des Moines Water Quality Monitoring Program	9-0071	
0005	WAC 173-201A	9-0121	
0285	1998 Soil Fill Acceptance Criteria	9-0131	
0286	1999 Soil Fill Acceptance Criteria	9-0131	
0294	Third Runway Project Off Site Borrow Source Baseline Chemical Characterization Black River Quarry	9-0133	

**AR 056605**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

<u>NUMBER</u>	<u>DESCRIPTION</u>	<u>IDENTIFIED</u>	<u>ADMITTED</u>
0287	Memo from Beth Doan to Paul	9-0140	
1320	S.S. Papadopoulos & Assoc. STIA Third Runway Embankment Fill Water Quality and Transport Analysis	9-0150	
0076	Analysis of Preferential Ground Water Flow Paths	9-0176	
2014	Natural Resource Mitigation Plan	9-0207	

**AR 056606**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

March 28, 2002

MS. COTTINGHAM: I just jotted down some things I wanted to take care of this morning on our little agenda, and we can add some stuff to it. In fact, I've already added a couple of things. I've have added number 5 at the end, time budget for today and tomorrow morning from each of the parties, and I've also added number 4(a) where it says, "Keeping the record open for depositions and for the final exhibit list."

Why don't we just kick through these things. The first one is the concern raised by Mr. Poulin on the access to the materials after hours.

MR. PEARCE: Thank you, Your Honor. I did talk to Mr. Tobiason. He said he was in here actually having a conversation with Mr. Fish, who is the president of CASE, who was here the whole time. And Scott was looking at some boards, he didn't know whose boards were whose, but he was looking for some figures off the stormwater master program, didn't look through any of the board's materials, didn't look through any of ACC's, didn't even look through any of our materials, but that's what Mr. Tobiason said he was doing.

MS. COTTINGHAM: Okay.

MR. POULIN: That he was just looking through the large-scale --

**AR 056607**

1                   MR. PEARCE: That's what he said, yeah, he was  
2 just looking through the large-scale exhibits.

3                   MR. EGLICK: Mr. Fish is here, maybe we  
4 should --

5                   MR. POULIN: Does that comport with what you  
6 saw?

7                   MR. FISH: No, it's not. I came in early from  
8 lunch and saw Mr. Tobiason going through the ACC  
9 documents and writing a bunch of stuff down. Physically  
10 he went through two books. We were standing about this  
11 far apart and he was doing something with these books  
12 right here, and he spent a lot of time doing it. He went  
13 over to those files, to these files, back here, back  
14 here, spent most of his time here, had a large knapsack  
15 that looked like it had binders in it. That's about all  
16 I can add to it.

17                   MS. COTTINGHAM: Just so you know, we are  
18 missing some binders up here. We're missing one at least  
19 that we know of.

20                   MR. PEARCE: I don't think he has any binders.  
21 I certainly can ask him. He said he was interested in  
22 some numbers from the stormwater master program, the  
23 stormwater management program.

24                   MS. COTTINGHAM: That may be the one binder  
25 that we're missing up here. Board Member Lynch is

**AR 056608**

1 missing one binder.

2 MR. PEARCE: I believe that's the one that we  
3 have one copy of.

4 MS. COTTINGHAM: No, he is missing a binder  
5 that I have and that Board Member Jensen has, so -- I  
6 mean, this is not a trial to determine what's missing, I  
7 just want to make sure that we are not missing evidence  
8 and that we don't have people going through our notes and  
9 stuff up here.

10 MR. PEARCE: I certainly don't think he has any  
11 of the evidence, but I can check with him again, but I  
12 don't believe he took anything. He didn't tell me he  
13 took anything out of the room at all. He was looking for  
14 some figures.

15 MS. COTTINGHAM: Okay.

16 MR. PEARCE: I apologize for any confusion.

17 MS. COTTINGHAM: Why don't we make sure that at  
18 lunch breaks and at the end of the day that the last  
19 people who leave the room are the attorneys to make sure  
20 that we're not setting up a situation again.

21 The second one is to get an assessment from Mr. Kray  
22 where we are on the depositions to be published.

23 MR. KRAY: Ecology and the port have completed  
24 their review and have prepared their counter excerpts and  
25 their objections to the designations of ACC and CASE for

1 seven of the eight. Ms. Marchioro is back at the office  
2 finalizing Mr. Hellwig, which is the longest of them, and  
3 we anticipate that we'll have that by lunchtime.

4 I have the seven, I can provide them to ACC and  
5 CASE. I was running a little bit late and kind of dashed  
6 in, and you were here, so we started. But at any point  
7 this morning I can provide that to them. Then the  
8 question is how much time do they need to respond to our  
9 objections.

10 MR. EGLICK: It would help to see it first.

11 MR. POULIN: It's kind of hard to guess.

12 MR. KRAY: I understand.

13 MS. COTTINGHAM: Why don't we again tomorrow  
14 morning -- I would appreciate if you could share as soon  
15 as possible the entire package.

16 MR. KRAY: I'll do that right now.

17 MS. COTTINGHAM: And I would like a sense  
18 either at the end of today or first thing in the morning.  
19 This may be one of those issues that we carry over past  
20 the close of the record, actually, not the close of the  
21 record, but past the end of tomorrow, that we then  
22 finalize through a written order.

23 MR. KRAY: That's fine. The one comment I  
24 would make on that is we worked diligently to get these  
25 responses quickly. I'd prefer that we give a

**AR 056610**

1 commensurate amount of time for their response as well.

2 MS. COTTINGHAM: Okay. So is tomorrow  
3 morning --

4 MR. KRAY: No, they can let you know once they  
5 have looked at how long they need, but my question goes  
6 to let's not leave it open for a couple weeks.

7 MS. COTTINGHAM: I wasn't planning on it.

8 Okay, the third thing on my agenda is we've been  
9 hearing from public members that there are a lot of  
10 people planning to come for the closing arguments, so it  
11 would be nice if at the end of today we could get this  
12 room at least organized enough that we can have space for  
13 -- one, we are going to need space for the cameras,  
14 because TVW is going to set up tonight or tomorrow  
15 morning, and I want to make sure that we have at least  
16 the last two rows for the public and, if it's at all  
17 possible, not to have every person in the room. So I am  
18 assuming that we're not going to have witnesses lined up,  
19 that we can use the majority of the room for counsel, a  
20 few paralegals and the rest for the public.

21 Is that okay?

22 MR. KRAY: No objection from Ecology.

23 MR. PEARCE: No objection.

24 MS. COTTINGHAM: So at the end of today, it  
25 would be nice if you could all help by moving some of the

**AR 056611**

1 charts and all that stuff so that we can be prepared for  
2 tomorrow.

3 MR. POULIN: And will the podium be brought  
4 back for the afternoon?

5 MS. COTTINGHAM: Yes. We'll have it right  
6 outside the door and we'll break at lunch and make sure  
7 that there's enough room there between the two tables.

8 MR. KRAY: What time are you planning to begin,  
9 Ms. Cottingham, for closing?

10 MS. COTTINGHAM: What we plan to do is  
11 hopefully finish in the morning - the sooner you finish,  
12 the longer you get to prepare - and then come back either  
13 at 1:00 or 1:30, depending on what the parties would  
14 prefer.

15 The next thing is some post hearing activities. As  
16 we were just talking about keeping the record open for  
17 the deposition publication, so we'll get a little bit  
18 better sense of that on Friday. I also want to go  
19 through the list and identify those previously objected-  
20 to exhibits that have come in without further elaboration  
21 on the exhibits. I'm sure that there will be exhibits  
22 that haven't been talked about over the last two weeks  
23 and we'll need to have some sort of resolution on whether  
24 they're admitted or not. And my preliminary indication  
25 would be that if none of the parties used a witness to

**AR 056612**

1 introduce them, to allow them to come in for background  
2 only. And that would then be consistent with the hearsay  
3 objections that have been raised.

4 So what I plan to do is hopefully in the next day to  
5 go through my list and the exhibit list to see where --  
6 and there have only been about three or four where the  
7 objection was reiterated and argued and I made some sort  
8 of ruling. The rest have either not been introduced or  
9 have been introduced without further objection.

10 And what I plan to do then is to take the exhibit  
11 matrix, to finalize that, and to issue it with an order  
12 as the final exhibit list for purposes of this hearing,  
13 if that's acceptable. And I would like to get that done  
14 sometime next week.

15 Is mid-week acceptable time period for all of you?

16 MR. KRAY: Yes.

17 MR. EGLICK: Yes.

18 MS. COTTINGHAM: And I think that's really what  
19 I'd like to do for both the publication of the  
20 depositions and the final evidence list, is to set it  
21 Thursday next week. Anybody know what the date is, is  
22 that like the 3rd or 4th?

23 MR. EGLICK: Monday is the 1st, isn't it?

24 MR. POULIN: Thursday should be the 4th.

25 MS. COTTINGHAM: And I will try and memorialize

**AR 056613**

1 all this in an order, but I just wanted to let you know  
2 what my thoughts were on that.

3 We still have outstanding -- Ms. Osborn and  
4 Mr. Young, I believe, were working on some further  
5 redaction materials.

6 MS. OSBORN: I have just reviewed the redacted  
7 version of Mr. Garland's prefiled testimony and it's  
8 fine.

9 MS. COTTINGHAM: As submitted by Mr. Young. I  
10 haven't seen that yet.

11 MR. YOUNG: I have copies and all that here, so  
12 I can provide those. I can provide them now or --

13 MS. COTTINGHAM: Is it just as a page or has it  
14 been written in some sort of --

15 MR. YOUNG: We have two things, we have his  
16 revised testimony, which has been signed by him, and then  
17 we have an offer of proof which contains the things that  
18 were excised, which I signed, and so it's two documents,  
19 and I've got about a zillion copies here, which probably  
20 won't be enough.

21 MS. OSBORN: One of the --

22 MS. COTTINGHAM: Let's try not to talk over  
23 each other because we have a record being preserved here.

24 MR. YOUNG: So should I file these with you or  
25 with Tracey or how do you want me to do that?

**AR 056614**

1 MS. COTTINGHAM: I don't know. Why don't you  
2 give it to me and I will convert it into some sort of an  
3 order, acknowledging the redacted, much like I did with  
4 the earlier ones. I will view it as a motion in limine  
5 of some sort.

6 MR. YOUNG: Here is the revised testimony, an  
7 original and four copies, and here is the offer of proof,  
8 original and four copies.

9 MS. COTTINGHAM: Okay. The next one is the  
10 preparation of draft findings of facts and conclusions of  
11 law. You have in front of you my attempt to put together  
12 an outline for the opinion, and since I did this late at  
13 night last night, I may have accidentally, in my  
14 inability to use word processing, I may have renumbered  
15 them accidentally, so if you could look at the issues to  
16 make sure I have the same number.

17 And what I'd really like from you is whether this is  
18 an outline that you believe captures the framework of  
19 this entire appeal. I would like to know whether there  
20 are things missing, I would like to know whether you  
21 would structure it differently, because what I would like  
22 to suggest is that we reach agreement on a common outline  
23 so that when each side submits draft findings of fact and  
24 conclusions of law, that we are all working from the same  
25 general approach. So what I'm going to suggest is that I

**AR 056615**

1 hear back from you by next Thursday on this outline.

2 And then the next thing I'd like to know is I would  
3 like to set a time line for filing draft documents. I'm  
4 going to suggest one per side. Would that be acceptable  
5 for Ecology and the port to jointly submit one draft?

6 MR. PEARCE: I think we can work that out.

7 MS. COTTINGHAM: And the same with ACC and  
8 CASE.

9 MR. EGLICK: I think we can do it jointly, yes.

10 MS. COTTINGHAM: Is one month enough time for  
11 the parties to do that?

12 MR. PEARCE: More than enough.

13 MR. EGLICK: Yes.

14 MR. POULIN: Yes.

15 MS. COTTINGHAM: So if we set a deadline of  
16 April 26th to have that filed and shared with the parties  
17 as well.

18 Then I have a question about transcription. Do any  
19 of the parties plan to have the hearing transcribed? I  
20 guess this is one of those strategy things that nobody  
21 tips their hand because they don't want to pay for it, I  
22 suppose.

23 MR. KRAY: I guess, Ms. Cottingham, I suspect,  
24 and I can't necessarily speak for everybody, I suspect  
25 that at some point this record will be transcribed and

**AR 056616**

1 moved on to some other venue one way or another, and so  
2 perhaps the parties should discuss a way to handle that.  
3 I don't think we've had an opportunity to discuss it at  
4 all, I don't know, am I speaking out of school? Has  
5 anybody talked about this issue?

6 MR. EGLICK: Not with the other parties.  
7 Frankly, you know, there is the ex-checker issue.

8 MS. COTTINGHAM: The --

9 MR. EGLICK: Money.

10 MR. POULIN: Who pays.

11 MR. EGLICK: And I don't know, you know, that  
12 that's something that we know without going back to our  
13 clients, asking for an appropriation, so to speak, or  
14 some sort of indication that we can afford the whole  
15 transcript.

16 MS. COTTINGHAM: Well, I raise this because if  
17 it would be helpful in drafting either the opinion by the  
18 board or the draft findings, that the parties might be  
19 well served in having this discussion early so that it  
20 could be of use to you. So I don't have an opinion one  
21 way or the other, but I'm going to raise it and ask that  
22 you talk among yourselves and then perhaps talk with each  
23 other.

24 MR. KRAY: Is there some way that we can get an  
25 estimate of the total cost once we have a sense of how

**AR 056617**

1 much time was used for --

2 MS. COTTINGHAM: I can have Tracey ask Gene  
3 Barker & Associates to give us a rough estimate, and,  
4 hopefully, she could get a rough estimate in the next day  
5 or so.

6 MR. KRAY: I think that would be a useful piece  
7 of information.

8 MS. COTTINGHAM: Okay. I'll do that. I'm not  
9 asking you to make any decisions on the spot. I raise it  
10 just because it often happens after you need it, you  
11 know, so anyway --

12 Those are the only things that I wanted to raise  
13 with you this morning. Is there anything that you would  
14 like to raise in a procedural manner?

15 MR. KRAY: I believe you indicated something  
16 about a time budget is also on your --

17 MS. COTTINGHAM: Oh, yes, time budget for today  
18 and tomorrow. We don't have much time left. We have  
19 eight hours and ten minutes, five minutes.

20 MR. PEARCE: We are hoping to at least get  
21 through -- of course, it depends on, you know, I  
22 understand parties have to make objections for the  
23 record, but if we could keep our colloquy short. And  
24 depends on the amount of cross, of course, but we're  
25 confident, we're hopeful, let's say, that we can get at

**AR 056618**

1 least to Miss Cassin today and finish with Mr. Kelley and  
2 Mr. Bailey first thing Friday morning.

3 MS. COTTINGHAM: Well, I'm going to impose a  
4 change in the way we've done the clock in order to keep  
5 us on the straight and narrow. We're not going to stop  
6 the clock for back-and-forth discussions and changing, so  
7 we're going to keep the clock running all day today  
8 because we don't have much more than eight hours between  
9 now and noon tomorrow for testimony. So that should keep  
10 you a little more on your toes, and I'm sorry to have to  
11 do that, but you've been very good on the clock, I've  
12 been amazed it's been working as well as it has for this.

13 MR. POULIN: And if you would like, Your Honor,  
14 I can eliminate that one-minute delay or shorten it if  
15 you think that would be helpful.

16 MS. COTTINGHAM: No. I think that's fine.

17 With that, we'll take about a 10-minute break and  
18 everybody can get organized and we'll start up with the  
19 next witness.

20 MR. PEARCE: Mr. Cheyne, beginning the direct  
21 testimony of Michael Cheyne.

22 MS. COTTINGHAM: I'm going to go back on the  
23 record for just one thing. When you file the draft  
24 findings of fact and conclusions of law, and I won't  
25 memorialize this, but I would like to get them

**AR 056619**

1 electronically, too.

2 (Whereupon, a recess was taken.)

3 MS. COTTINGHAM: Be seated. We'll go back on  
4 the record. Mr. Pearce, if you would call your next.

5 MR. PEARCE: The port calls Michael Cheyne.

6 MR. STOCK: Ms. Cottingham, at this point, I  
7 am going to move to strike Mr. Cheyne's prefiled  
8 testimony from the record. And I would refer the board  
9 to his prefiled testimony and the table of contents,  
10 which is the first two pages of his prefiled testimony.

11 Mr. Cheyne's prefiled testimony has nothing to do  
12 with the issues that are before this board with respect  
13 to whether there's reasonable assurance that this project  
14 will not result in a violation of state water quality  
15 standards.

16 The board has now granted the summary judgment  
17 motion on the SEPA issues, and while some of these  
18 statements in Mr. Cheyne's testimony, prefiled testimony,  
19 may have been relevant to the SEPA issue, that is no  
20 longer before the board, given that summary judgment has  
21 been granted on that issue.

22 None of the items specified here in Mr. Cheyne's  
23 prefiled testimony are relevant except for the last item  
24 on page 8, "No current plans for redevelopment of borrow  
25 sources." Mr. Cheyne is contending that there isn't any

**AR 056620**

1 current plan for redevelopment of the borrow areas, a  
2 point that Mr. Rozeboom spoke about in his testimony.

3 So ACC requests that the prefiled testimony of  
4 Mr. Cheyne be stricken and that Mr. Cheyne be precluded  
5 from testifying with respect to any of these items except  
6 the item on page 8.

7 MS. COTTINGHAM: Mr. Pearce.

8 MR. PEARCE: Thank you, Ms. Cottingham. Many  
9 of the documents attached to Mr. Cheyne's, well, referred  
10 to in Mr. Cheyne's testimony, are background. The board  
11 can read that. They're clearly relevant to the project  
12 and how the project has undergone environmental review.  
13 We're really here on environmental issues.

14 In particular, the documents such as the EISes talk  
15 about - which have already been litigated and found  
16 legally adequate - talk about activity levels at the  
17 airport, expected activity levels. That is directly  
18 relevant to whether there will be any violations of water  
19 quality, because, as we heard from Mr. Smith yesterday,  
20 it is the activity levels at the airport that create  
21 metals on impervious surfaces, not the impervious  
22 surfaces themselves, so the activity levels are  
23 important, and it's important for the board to have that  
24 information in front of it.

25 The records of decision by the FAA are also

**AR 056621**

1 important, because not only do they talk about expected  
2 activity levels, but they talk about how the FAA has  
3 implemented its wildlife hazard policy with respect to  
4 this particular project.

5 And I would urge the board to accept Mr. Cheyne's  
6 testimony, give it the weight the board believes --  
7 accord it the weight that the board think it deserves.

8 MR. STOCK: Mr. Pearce just said that this is  
9 relevant to the issue of the environmental review that  
10 this project has gone through. Given SEPA is no longer  
11 an issue before the board, there is no relevance to the  
12 issues specified here. It's not relevant to the issue of  
13 whether this project is going to result in a violation of  
14 water quality standards.

15 In terms of justifying dumping into the record all  
16 of these previous environmental reviews on the basis that  
17 it relates to the activity level at the airport, broad  
18 general statements about activity levels on impervious  
19 surfaces is not competent evidence as to the level of  
20 pollution that's going to be generated by adding a third  
21 runway. There hasn't been any testimony in that regard.  
22 And the broad general hearsay statements in these  
23 documents, if there are any relating to the activity  
24 level, simply is not competent evidence.

25 And so on that basis, on relevancy, the lack of

**AR 056622**

1 competency of the evidence presented, ACC requests that  
2 the prefiled testimony be stricken and Mr. Cheyne be  
3 precluded from testifying on those issues.

4 MS. COTTINGHAM: Let me ask a question as it  
5 relates to the exhibits. Are any of the environmental  
6 documents, the SEPA documents, stipulated as exhibits  
7 down in the --

8 MR. PEARCE: They are exhibits. We would ask  
9 the board to take into the record volume 1 of the FEIS  
10 and volume 1 of the supplemental EIS for the discussion  
11 of the background, for the discussion of what the  
12 activity is expected to be at the airport.

13 MS. COTTINGHAM: Are they a numbered exhibit or  
14 is the only place --

15 MR. PEARCE: They are a numbered exhibit and  
16 there is only a hearsay objection to them, after the  
17 meeting with the ALJ, there is no relevancy objection to  
18 them.

19 MR. STOCK: And ACC will maintain that hearsay  
20 objection. What Mr. Pearce just said is the port wants  
21 the board to consider the FEIS and the supplemental EIS  
22 for the truth of the matter asserted with respect to  
23 activity levels, and that is not competent evidence for  
24 that purpose. He also said that he wanted the board to  
25 consider it for background information. Again, that is

**AR 056623**

1 not relevant to the issue that is before the board. And  
2 so we will maintain our hearsay objection on the FEIS and  
3 the SEIS and ask that the board not consider it for the  
4 truth of the matter asserted.

5 MR. PEARCE: I can certainly lay a foundation  
6 for hearsay.

7 MS. COTTINGHAM: The board is going to take  
8 about a 2-minute recess. We'll be back in a minute.

9 (Whereupon, a recess was taken.)

10 MS. COTTINGHAM: We'll go back on the record.

11 The board is going to strike the prefiled testimony  
12 of Mr. Cheyne. The board will allow Mr. Cheyne to  
13 verbally testify on the issue of the borrow pits. And  
14 the board will overrule the objection, the hearsay  
15 objection, on the environmental documents, the FEIS and  
16 the supplemental EIS. The board has already ruled on  
17 issue number 14, already found that those documents are  
18 adequate and they're the type of information that the  
19 board generally relies on and, under the board's rule,  
20 will be admitted.

21 MR. PEARCE: Can I ask Your Honor about the  
22 record of decision from the FAA, because they are very  
23 important in determining, in showing how the FAA has  
24 implemented the wildlife hazard policy.

25 MR. STOCK: Well, we can reargue what we just

**AR 056624**

1 argued and I'll make the exact same arguments.

2 MS. COTTINGHAM: And it is a numbered exhibit?

3 MR. PEARCE: It is a numbered exhibit.

4 MS. COTTINGHAM: And it has a hearsay  
5 objection?

6 MR. STOCK: I understand that the wildlife  
7 hazard plan is part of the NRMP and so, to that extent,  
8 that's already before the board, and so if that's the  
9 basis for bringing in the record of decision, there's no  
10 basis for bringing in the record of decision.

11 MR. PEARCE: Actually, the basis for bringing  
12 it into the record is it shows what the FAA has required  
13 with respect to that advisory circular. There is a  
14 hearsay and relevance objection about the FAA's record of  
15 decision. The FAA's amended record of decision, which  
16 incorporates the earlier record of decision, there is  
17 only a hearsay objection. Those are both clearly public  
18 records and admissible pursuant to Evidence Rule 803.

19 MR. STOCK: We will maintain our hearsay  
20 objection and, again, a relevancy objection. What is now  
21 before the board just doesn't have any relevance, the  
22 record of decision.

23 MS. COTTINGHAM: I'm going to recognize the  
24 hearsay objection on the FAA record of decision, but I am  
25 going to allow it in for background purposes, not for the

**AR 056625**

1 truth of the matter asserted. And I would like from you,  
2 Mr. Pearce, the exhibit numbers for the environmental  
3 documents and the FAA documents, the record of decision.

4 MR. PEARCE: I can give you those right now if  
5 you'd like.

6 The final environmental impact statement is Exhibit  
7 1069.

8 MS. COTTINGHAM: Okay.

9 MR. PEARCE: The supplemental environmental  
10 impact statement is Exhibit 1081.

11 MR. STOCK: And you're just asking for volume  
12 1?

13 MR. PEARCE: She just asked for the exhibit  
14 number.

15 MR. STOCK: But in terms of what's being  
16 admitted, it's just volume 1?

17 MR. PEARCE: Volume 1 is really what's  
18 necessary. All the appendices are background for the  
19 discussion in volume 1.

20 The July 3rd, 1997 record of decision from the FAA,  
21 which talks about the advisory circular and how they're  
22 going to administer that, is Exhibit 1081.

23 MS. COTTINGHAM: 1081?

24 MR. PEARCE: Yes -- I'm sorry, it's 1086.  
25 1081 is the SEIS.

**AR 056626**

1 MS. COTTINGHAM: Let me ask a question, the  
2 appendices of volume 1 of the SEIS are also part of  
3 Exhibit 1081 or are they separate exhibit numbers?

4 MR. PEARCE: They're also part of that, but the  
5 only thing we're really interested in the board taking a  
6 look at is volume 1.

7 MR. STOCK: And ACC would like the opportunity  
8 then to counter designate in that exhibit those portions  
9 of the FEIS that have public comments and agency  
10 comments.

11 MS. COTTINGHAM: Are they appendices?

12 MR. STOCK: Yes, they are.

13 MS. COTTINGHAM: So we'll allow the entire  
14 Exhibit 1081. I will overrule the hearsay exemption for  
15 all of it.

16 MR. PEARCE: The August 9, 2001 FAA record of  
17 decision, the amended record of decision, is Exhibit  
18 1270.

19 MS. COTTINGHAM: Okay.

20 And with that, the court reporter will swear in the  
21 witness.

22 MR. STOCK: I'm sorry, but this amended record  
23 of decision, August 9, 2001, as I recall it, it didn't  
24 have anything to do with the hazard wildlife management  
25 plan.

**AR 056627**

1 MR. PEARCE: It has to do with activity levels  
2 at the airport.

3 MR. STOCK: But that is not the basis upon  
4 which the board ruled. That's not my understanding the  
5 basis upon which the board ruled, so the amended record  
6 of decision, Exhibit 1270, has no relevancy.

7 MR. PEARCE: There's no relevancy objection to  
8 1270. They have never made a relevancy objection to 1270  
9 until we were bushwhacked this morning, Your Honor.

10 MS. COTTINGHAM: It was a hearsay objection  
11 earlier.

12 MR. PEARCE: That's correct.

13 MR. STOCK: And we will continue to assert the  
14 hearsay objection.

15 MS. COTTINGHAM: Right. And I am recognizing  
16 that and allowing these two documents in only for  
17 background. Is that okay?

18 With that, we'll have the court reporter swear in  
19 the witness for the limited testimony on the borrow  
20 sites.

21 ////

22 ////

23 ////

24 ////

25 ////

**AR 056628**



1 Q. Is that a copy of your professional resume'?

2 A. It is.

3 MR. STOCK: Exhibit 1023? I have that as Mike  
4 Bailey's.

5 MR. PEARCE: There are a number of resume's  
6 behind that exhibit. They are all stipulated, Your  
7 Honor.

8 Q. Mr. Cheyne, could you explain to us whether the port has  
9 any current plans for redevelopment of any of the on-site  
10 borrow source areas?

11 A. No, not at this point. The issue of borrow sources at  
12 the airport is similar to issues related to development  
13 of any vacant properties at the airport. At this point,  
14 there are no specific plans for redevelopment of those  
15 properties.

16 MR. PEARCE: Those are all the questions I have  
17 for Mr. Cheyne.

18 MS. COTTINGHAM: Mr. Young.

19 MR. YOUNG: I have no questions.

20 MR. STOCK: I have a few questions.

21

22 EXAMINATION

23 BY MR. STOCK:

24 Q. Mr. Cheyne, if you'll turn to Exhibit 45, and the  
25 notebook is right down there beside you, and it's flagged

**AR 056630**

1 for you, Exhibit 45. And if you'll turn over to the last  
2 four pages of Exhibit 45. The first few pages is a  
3 letter from Northwest Hydraulic Consultants, and attached  
4 to that letter is a Port of Seattle Commission agenda; is  
5 that correct?

6 A. It is.

7 Q. And that agenda is dated October 16, 2001?

8 A. Yes.

9 Q. And you received a copy of this agenda, did you not?

10 A. Yes.

11 Q. And you also attend on a regular basis the Port of  
12 Seattle Commission meetings; is that right?

13 A. Yes, regularly.

14 Q. And with respect to the agenda for the November 13  
15 meeting, under the subject, isn't it true that the agenda  
16 proposed that the commission execute an amendment to the  
17 September 4, 1997 interlocal agreement between the Port  
18 of Seattle and City of SeaTac regarding allowed uses  
19 within the aviation commercial and aviation operation  
20 zone?

21 A. Yes.

22 Q. And if you'll turn over to the third page of the agenda,  
23 isn't there two-thirds of the way down more detail with  
24 respect to what that agenda item is?

25 A. It appears to do so, yes.

**AR 056631**

1 Q. And part of that agenda item, the amendment, calls for  
2 amending the interlocal agreement and stipulating with  
3 the City of SeaTac that, the first bullet item, "The port  
4 shall appropriately mitigate borrow areas and reclaim and  
5 consider economic development of the areas"; is that  
6 right?

7 A. That's what it says.

8 Q. All right. Let me show you -- I'd like to go ahead and  
9 have this marked as an exhibit for identification  
10 purposes as 804.

11 MR. PEARCE: We'd object to this exhibit, Your  
12 Honor. It's not on the exhibit list, it's not disclosed.

13 MR. STOCK: No, it's not on the exhibit list.  
14 It hasn't been disclosed. I'm using it for impeachment  
15 purposes and I am entitled to do it for impeachment  
16 purposes.

17 MS. COTTINGHAM: I'm going to allow it.

18 Q. (Continuing By Mr. Stock): Can you identify Exhibit 804,  
19 please?

20 A. It's agreement between the Port of Seattle and City of  
21 SeaTac for the development of certain port-owned  
22 properties.

23 Q. And, in fact, this was the amendment to the interlocal  
24 agreement between the City of SeaTac and the Port of  
25 Seattle that was referred to in the October 16 port

**AR 056632**

1 commission agenda; isn't that right?

2 A. I'm sorry, say that again.

3 Q. This is the amendment to the interlocal agreement between  
4 City of SeaTac and the Port of Seattle that was referred  
5 to in the October agenda item; isn't that right?

6 A. I believe so, yes.

7 Q. And, in fact, this amendment has now been signed by both  
8 the Port of Seattle and the City of SeaTac?

9 A. It looks like that way. I didn't --

10 Q. In fact, that's Gina Marie Lindsey's signature on page 8,  
11 is it not?

12 A. It looks like it is, yes.

13 Q. You recognize her signature?

14 A. I do.

15 Q. So there is no question that the Port of Seattle and the  
16 City of SeaTac have entered into this agreement?

17 A. I wasn't aware this had been signed, but, yes.

18 Q. Were you aware that it was proposed at the time that you  
19 filed your prefiled testimony?

20 A. That we would be doing an interlocal, yes.

21 Q. Turn over to page 6 of this agreement between the City of  
22 SeaTac and the port. And under the paragraph entitled  
23 "Marketing," isn't it true that the port has agreed  
24 within six months of the effective date of this agreement  
25 to prepare redevelopment and marketing plans at its own

**AR 056633**

1 expense and promote redevelopment of the site by actively  
2 making the site available for lease or purchase?

3 A. Are you reading from this section?

4 Q. Yes, I am.

5 A. Yes.

6 Q. And that's what the port's agreed to do with respect to  
7 borrow sites 3 and 4; isn't that right?

8 A. Mm-hmm (witness nods head affirmatively), portions of  
9 borrow site 3, yes.

10 MR. STOCK: I don't have any further questions.  
11 Well, actually, let me back up. I just saw something  
12 that is also interesting.

13 Q. Under paragraph H, "Future Redevelopment."

14 A. Mm-hmm (witness nods head affirmatively).

15 Q. Has the port agreed in this agreement, the last sentence  
16 of that provision, "The port shall in good faith pursue  
17 having the redevelopment of the property completed within  
18 five years of the date of this agreement"?

19 A. That would be contingent on the outcome of the marketing  
20 study.

21 Q. And the port agreed to that with the City of SeaTac; is  
22 that right?

23 A. That contingent upon whether there is a market for  
24 redevelopment, would we pursue that, hopefully, in the  
25 future, we will.

**AR 056634**

1 MR. STOCK: I don't have any further questions.

2 MR. POULIN: No questions from CASE.

3 MS. COTTINGHAM: Mr. Pearce.

4

5 EXAMINATION

6 BY MR. PEARCE:

7 Q. Could you explain to the board the contingency on the  
8 marketing study.

9 A. Well, at this point, there isn't an understanding of what  
10 type of activity could be developed there. The port has  
11 many, many acres of property that are vacant now. Vacant  
12 property does not mean that property will be developed;  
13 it means it's available and we want to try to market it  
14 as we do any of our properties.

15 Q. Are there any actual plans for development on any of  
16 these properties?

17 A. No. We couldn't do any planning until we figure out if  
18 there is a market. It's going to be demand driven. At  
19 this point, we don't know if there's a market and we  
20 don't have any specific plans for development.

21 Q. What's your understanding about the environmental review  
22 for any future projects for these properties?

23 A. Any project or any development that we do would have to  
24 go through subsequent environmental review and meet the  
25 mitigation requirements of that development.

**AR 056635**

1 Q. Okay. Thank you. Nothing further on redirect.

2 MS. COTTINGHAM: Any questions from the board?

3 MR. JENSEN: No.

4 MR. LYNCH: No questions.

5 MS. COTTINGHAM: Thank you. You're excused.

6 MR. PEARCE: The port's next witness will be  
7 Mr. Charles Ellingson.

8  
9 CHARLES "PONY" ELLINGSON, having been first duly sworn on  
10 oath or affirmed to tell the truth, the whole truth and  
11 nothing but the truth, testified as follows:

12  
13 MR. REAVIS: I have a handout here which is  
14 two or three pages from one of Mr. Ellingson's reports  
15 that is marked as an exhibit that I'll be referring to.

16  
17 EXAMINATION

18 BY MR. REAVIS:

19 Q. Would you please state and spell your name for the  
20 record.

21 A. My name is Charles Ellingson, E-L-L-I-N-G-S-O-N.

22 Q. Now, you are referred to in some documents, probably most  
23 documents, as Pony Ellingson; is that right?

24 A. That's correct. Pony is a nickname.

25 Q. What is your current employment, Mr. Ellingson?

**AR 056636**

1 A. I am a principal hydrogeologist at Pacific Groundwater  
2 Group.

3 Q. How long have you been with Pacific Groundwater Group?

4 A. Since its founding in 1987.

5 Q. Is a copy of your CV attached to your prefiled testimony?

6 A. Yes, that would be attachment A.

7 Q. Can you give us a brief summary of your professional  
8 experience with regard particularly to hydrology and  
9 groundwater modelling.

10 A. I think pertinent to this project with my undergraduate  
11 training and experience in unsaturated soil, hydrology  
12 and soil physics, measuring many of the parameters that  
13 have been discussed, permeabilities and unsaturated flow  
14 characteristics. Then in graduate school I spent more  
15 time with the theory and the equations describing that  
16 kind of flow, including programming and writing equations  
17 for computers to simulate the flow of water both in  
18 saturated and unsaturated conditions.

19 I have continued to practice in those areas in my  
20 professional career.

21 Q. Can you give us a brief run-down of your educational  
22 background.

23 A. I have a bachelor of science in geology and geophysics  
24 from University of Hawaii and a master of science in  
25 hydrology from the University of Arizona.

**AR 056637**

1 Q. And do you have any particular professional  
2 certifications?

3 A. I am certified in the states of Idaho and Oregon and have  
4 applied in Washington, that is pending. I also have a  
5 national certification as a groundwater professional.

6 Q. Could you describe for us generally, briefly, your  
7 experience with computer models as applied to your  
8 profession.

9 A. I have used a wide variety of computer models to simulate  
10 groundwater flow. Sometimes it's just an equation that  
11 you can do with a calculator and sometimes it's very  
12 involved. I have used them for a variety of purposes  
13 over many years.

14 Q. When were you first retained to work on anything having  
15 to do with the third runway project?

16 A. In 1999 I was our project manager under Ecology's, what I  
17 call, the Ecology project or the hydrologic studies  
18 project. I was project manager of a team to study  
19 selected hydrologic effects of the third runway  
20 construction for Ecology.

21 Q. So were you retained by Ecology then at that time?

22 A. Yes. There was a stakeholder committee that included the  
23 port and ACC, but Ecology was the state's project manager  
24 for that effort.

25 Q. Now, did your scope of work change over time with regard

**AR 056638**

1 to the third runway project?

2 A. I ended the Ecology project and was then hired by Earth  
3 Tech, who was hired by the port to do low-flow studies.  
4 And after getting involved in that, I was subsequently  
5 directly retained by the port to continue the low-flow  
6 studies.

7 Q. Now, did you produce a report as a result of your work on  
8 behalf of Ecology?

9 A. Yes, I believe that's a June 2000 report called  
10 "Hydrologic Studies Report," something like that.

11 Q. That's Exhibit 1178. Can you tell us if that appears to  
12 be a copy of the report that you just described?

13 A. Yes, called "SeaTac Runway Fill Hydrologic Studies  
14 Report," 1178.

15 Q. And are your conclusions set forth in that report  
16 relative to the work that you performed for Ecology?

17 A. Yes, they are.

18 Q. Now, then you described a second phase of your work, I  
19 believe, that was done for Earth Tech on behalf of the  
20 port. Did you produce a report summarizing your  
21 conclusions in that particular topic?

22 A. I believe our input was maybe an appendix or a memo to  
23 Earth Tech's low-flow report, which I believe was summer  
24 of 2001, and was the first specific report dealing with  
25 low flow.

**AR 056639**

1 Q. Let me ask you about what I think is a later report  
2 produced in November of 2001.

3 A. Yes.

4 Q. Can you tell us what that was and what particular project  
5 that was produced as a result of?

6 A. We were hired to simulate flows through the new  
7 embankment fill as a part of the low-flow analysis  
8 performed by the port.

9 Q. I believe that is Exhibit 1305.

10 MS. OSBORN: 1308, I think.

11 MR. REAVIS: 1308. Thank you.

12 Q. Does that appear to be a copy of your November 2001  
13 report?

14 A. This appears to be the low stream flow analysis large  
15 report. Our report was appendix B to this low-flow  
16 report.

17 Q. I think there is another exhibit, and that's what I'd  
18 like to refer you to, which is 1305.

19 A. Yes, 1305 is our input into the December low-flow report  
20 produced by the port.

21 Q. So 1305 is your report and that was incorporated in the  
22 later low-flow report; is that right?

23 A. Yes.

24 Q. Now, what I'd like to do then is have you discuss the  
25 modelling work that you did, briefly, on the embankment.

**AR 056640**

1 And if you would, refer to this handout, which is a page  
2 from the low-flow report itself, which is 1308. And  
3 there's a chart there that is the portion that I'd like  
4 for you to refer to. This is part of the handout.

5 A. The drawing on the last page of the handout here is a  
6 graphic demonstrating how our work was coordinated with  
7 other modelling efforts in the low-flow project. The  
8 part inside the hatched area is hours and the entire  
9 process is all the boxes. The entire process began with  
10 an HSPF model run that provided us - meaning Pacific  
11 Groundwater Group - two time series. We got runoff from  
12 impervious surfaces and we got infiltration into pervious  
13 surfaces. Then that was handed to us as a series of  
14 hourly values for 11 model years.

15 The first box in our scope of work was then to pass  
16 that runoff and infiltration through an additional filter  
17 wherein we used the permeability that we calculated for  
18 the fill to figure out how much of it was actually going  
19 to sink in the ground. And that was a lower  
20 permeability, therefore, we calculated more runoff in  
21 this step than was handed to us.

22 We took the amount that we thought was going to  
23 infiltrate and we modeled it, we predicted the way, the  
24 timing of its movement through the new fill.

25 Then we come down to the third box inside our area,

**AR 056641**

1 and that is the description of the Slice modelling, which  
2 accumulated those vertical flows along the bottom of the  
3 embankment, and ultimately to the fourth box, where we  
4 multiplied those two-dimensional flows that we  
5 accumulated over the breadth of the embankment to come up  
6 with the total contribution from the embankment to the  
7 low flows.

8 And we handed that back to the HSPF modelers and  
9 they plugged it into their models to simulate the low-  
10 flow condition, the future condition.

11 Q. Okay. Thank you. Can you describe for us, briefly, the  
12 specific areas at the airport that you modeled? And I  
13 think there's a demonstrative exhibit here, which again  
14 is a page from your report, is it not?

15 A. This is figure 2-1 from our report. It's also attached  
16 to my direct testimony, I believe.

17 The red line on this figure is the new fill. We are  
18 looking down on a map, and the existing airport is to the  
19 right here. The red line outlines the new fill. So we  
20 clipped it out and we managed all the rainfall within the  
21 red line.

22 The other colors on here are the runways in gray, so  
23 those are the impervious areas, and the blues and the  
24 yellows reflect the different thicknesses of fill that we  
25 calculated because that's an important parameter in the

**AR 056642**

1 model.

2 Q. So you used how many models in your work?

3 A. We used two formal models and complementary calculations.

4 Q. Now, there's been some criticism raised in prefiled  
5 testimony here about the use of two models as opposed to  
6 one. Can you explain for us why you decided to use the  
7 two models?

8 A. It was recognized quite early that the HSPF model was not  
9 capable of lagging flows that occur as infiltration moves  
10 vertically down through tens of feet of unsaturated  
11 material. HSPF can delay flows, but it can't truly lag  
12 them; it doesn't have the equations in there to deal with  
13 that.

14 In the Ecology study we demonstrated that we think  
15 that effect was going to occur, the port recognized that  
16 HSPF couldn't simulate it, so we were requested to use  
17 those tools, because it was a better tool for the fill  
18 condition after the fill was in place to simulate the  
19 water flow.

20 Q. Is it unusual in your field to use more than one model  
21 for a particular project?

22 A. No, it's not unusual.

23 Q. Let me ask you a couple of questions about infiltration  
24 rates, because there's been some testimony about that.  
25 And were you here during Dr. Leytham's testimony?

**AR 056643**

1 A. No, I was not.

2 Q. There were some photos presented - have you seen those -  
3 of ponding on top of the embankment?

4 A. I did see those during Dr. Lucia's testimony.

5 Q. Do you have any opinion about whether or not those photos  
6 demonstrate conditions that would be inconsistent with  
7 your infiltration parameters?

8 A. There's no reason I would expect them to demonstrate that  
9 it's inconsistent.

10 Q. Can you explain that for us, please.

11 A. The permeability parameter that we used for the new fill  
12 results in our prediction of about 20 percent runoff, so  
13 over the four years of test period, about 20 percent of  
14 the precipitation we would predict to run off, so runoff  
15 is something that we would expect.

16 Q. Now, you were here during Dr. Lucia's testimony; is that  
17 what you said?

18 A. Yes.

19 Q. What I'd like to do is ask you to refer to one of the  
20 demonstrative exhibits that Dr. Lucia used, and I think  
21 it's behind that one there, figure 6 to Dr. Lucia's  
22 report, which is cross-sections of the embankment.

23 A. Yes.

24 Q. And I have just a couple questions about that. One is  
25 regarding the issue of horizontal versus vertical flows,

**AR 056644**

1 Hydrus 1D versus 2D. Can you just explain for us what,  
2 if anything, those show to you about that particular  
3 issue?

4 A. Yes. Dr. Lucia testified that the model should have been  
5 run in a two-dimensional mode, and, yet, this figure  
6 clearly shows to me that a one-dimensional approximation  
7 is a very good approximation. We modeled it in a 1D  
8 sense. The fact that these lines are vertical, that the  
9 margins between wetter and dryer areas are vertical,  
10 indicates that we can model it in a one-dimensional sense  
11 and be quite accurate.

12 This type of simplification is a foundation of  
13 hydrogeologic modelling and is well accepted, and I think  
14 these results really support our one-dimensional  
15 simplification.

16 Q. Now, with regard to discussion in Dr. Lucia's testimony  
17 about lag time and moisture content of the soil, can you  
18 tell us what this figure here in front of you tells you  
19 about that particular issue?

20 A. Yes. I believe it was Dr. Lucia's, as he said, his  
21 biggest criticism was the prediction of a lag time after  
22 construction before discharge would occur. That  
23 prediction is largely based on the fact that they began  
24 with a model condition that is virtually bone dry. That  
25 is so far outside the realm of reality, that his

**AR 056645**

1 modelling -- that leading to that conclusion begins with  
2 a flawed concept, it ends up with wrong answers, and his  
3 biggest criticism is, therefore, really quite misplaced,  
4 it's not a concern at all. His conditions are very  
5 inaccurate.

6 Q. There's another criticism in Dr. Lucia's prefiled  
7 testimony relating to what he calls, I believe, ignoring  
8 the gravel content of the fill. Now, did you hear his  
9 testimony on that and can you explain for us what you see  
10 as the difference between your view on that and his view  
11 on that?

12 A. Well, I don't think our views on it are very different  
13 now, because in his oral testimony, he testified that, in  
14 fact, his approach and our approach result in rather  
15 similar characterizations for the fill even though he was  
16 unaware of our approach prior to his work on this  
17 project. So we took different approaches, had the same  
18 concern, the same concepts, but took different approaches  
19 to correct for the gravel content, resulted in similar  
20 characterizations, so doesn't seem like an issue to me.

21 Q. Now, were you asked in the course of your work to draw  
22 any conclusions about the effect on wetland hydrology of  
23 this whole embankment modelling?

24 A. We made some conclusions regarding that in the Ecology  
25 report, and then very late in the low-flow, after the

**AR 056646**

1 low-flow work, I was questioned by some of the wetland  
2 people about wetland conditions.

3 Q. Is there a demonstrative exhibit there that you can  
4 illustrate that point with?

5 A. I hope so, yes.

6 MS. OSBORN: I would object to this line of  
7 questioning as -- what we're not sure about is when  
8 Mr. Ellingson is talking about the work that he did.

9 MR. REAVIS: I think he said it was part of his  
10 original report.

11 MS. COTTINGHAM: Why don't you bring that out  
12 to clarify.

13 Q. (Continuing By Mr. Reavis): This work that you actually  
14 did relative to wetlands hydrology, when did you perform  
15 that work?

16 A. That would have been as part of the Ecology project in  
17 '99 and 2000.

18 Q. And did you develop your opinions at that time or  
19 sometime later?

20 A. My opinions began to be developed at that time and, you  
21 know, I have continued to study it since then.

22 Q. Can you tell us --

23 MS. OSBORN: So when did he continue -- what  
24 we are trying to determine is at what point in time were  
25 his continuing opinions developing? I understand that

**AR 056647**

1 this began in 2000 with the Ecology report, but I don't  
2 understand what the end point is.

3 Q. (Continuing By Mr. Reavis): Maybe what I can ask you to  
4 do is explain for us your opinions about wetlands  
5 hydrology as you expressed them or formulated them at the  
6 time of your work for Ecology. Can you do that, separate  
7 out the two?

8 A. They're not separate, so I'll just explain. The wetlands  
9 on this drawing occur down here. This soil type down  
10 here with this wetland symbol, this is a cross section  
11 through the ground, showing the fill, the till, and the  
12 wetland soils and Miller Creek there.

13 This line here, this dark line is a conceptualized  
14 version of the water table in the Qva aquifer, so it's  
15 the aquifer below this shallow stuff we've been talking  
16 about. Note that it's virtually at the ground surface  
17 down in these wetland soils. And that's quite a common  
18 occurrence.

19 What that means is that not only is there  
20 groundwater coming down off the hillside in a shallow  
21 sense, but all of the ground down here is saturated, and  
22 there's some, maybe not a lot, but there is some  
23 potential for groundwater movement to occur upwards  
24 towards the creek here. So these wetlands down here are  
25 supported by flows coming off the hillside as well as

**AR 056648**

1 deeper groundwater sources.

2 And my prediction would be that the role of the  
3 deeper groundwater source is really to protect them  
4 against hydrologic effects that are only subject to local  
5 changes, such as the construction of the embankment. I  
6 think the embankment will also have some effects, but  
7 we're not going to see a lot of change in the wetlands  
8 because there are other water sources that stabilize the  
9 situation.

10 Q. Have you done any calculations to determine how much of  
11 the water that infiltrates through the embankment passes  
12 through the drainage layer and how much goes below the  
13 drainage area to the lower aquifers?

14 A. Yes. I'll use this drawing to describe that. By the  
15 way, Hydrus was applied, I hope you realize now, to this  
16 portion of the flow field, and Slice was then used to  
17 calculate how much moves downward versus how much moves  
18 sideways. I don't remember the numbers off the top of my  
19 head. I think the downward flow is generally greater but  
20 they're on the same order of magnitude. And that, in  
21 fact, is the two different time series that we gave back  
22 to the HSPF modelers. Part of it was horizontal movement  
23 versus the movement that we expect to occur down into the  
24 regional watershed.

25 Q. So what does that allow you then to conclude about the

**AR 056649**

1 effect of the embankment on the wetland hydrology?

2 A. The surface flows I think will extend further into the  
3 dry season than they do currently because of the delayed  
4 flow in the embankment, but overall, I don't think there  
5 will be any measurable effects on the regional water  
6 table which also support the wetland functions.

7 Q. Okay. That's all I have. Thank you.

8 MR. YOUNG: No questions.

9 MS. COTTINGHAM: Cross examination.

10 MS. OSBORN: Thank you.

11

12 EXAMINATION

13 BY MS. OSBORN:

14 Q. Mr. Ellingson, in discussing permeability parameters, you  
15 indicated that you thought in your modelling you  
16 indicated there would be about 20 percent runoff; is that  
17 right?

18 A. Yes.

19 Q. And isn't the amount of runoff an important factor in  
20 determining how much water is actually going to  
21 infiltrate into the embankment and flow through in the  
22 Hydrus model?

23 A. They're both part of a water balance.

24 Q. So the amount that you assign to that permeability or the  
25 infiltration from permeability is a part of the water

**AR 056650**

1 balance consideration, right?

2 A. They're related, if that's what you mean, yes.

3 Q. In modelling infiltration of the embankment, did you use  
4 a number derived from calibration with data from the  
5 existing embankment?

6 A. No, we did not. Well, we used soil type data from the  
7 existing embankment and calculated permeabilities from  
8 that data.

9 Q. You didn't calculate from permeability measured from the  
10 embankment itself; is that right?

11 A. There were no permeabilities measured in the embankment.

12 Q. Now, in the PGG 2000 model that you did for Ecology, you  
13 modeled both existing and future conditions; is that  
14 right?

15 A. Yes.

16 Q. And in modelling existing conditions, you used a recharge  
17 model and then the Slice model, right?

18 A. Yes.

19 Q. And the Slice model, as you indicated there, modeled what  
20 was infiltrating or seeping down into the deeper  
21 groundwater; is that right?

22 A. Correct.

23 Q. And the model showed that whatever went into the deeper  
24 groundwater was actually lost in the system, it didn't  
25 reemerge in the streams; is that right?

**AR 056651**

1 A. We made generalizations based on stream flow gain, and in  
2 the reach that we measured those in, it appeared that  
3 much or most of the water could be accounted for by  
4 shallow groundwater movement.

5 Q. But what I am asking you is, the water that you modeled  
6 as seeping down into the lower aquifer, I believe, the  
7 till and below, was lost to the system, it was no longer  
8 accounted for in the model; is that correct?

9 A. Well, all of our modelling stops there, frankly. Any  
10 subsequent calculations are at this time based on --

11 Q. I just need a yes or no. It no longer returned into the  
12 model; is that right? You identified it as water that  
13 was gone.

14 MR. REAVIS: I think the question is vague as  
15 to which model it disappeared from.

16 Q. You know which model I'm talking about, the existing  
17 condition Slice model for the PGG 2000 report?

18 A. My answer is that in all of PGG's calculations, flow  
19 downward through the till is no longer managed by PGG.

20 Q. Okay. And then in doing the future conditions model for  
21 the Ecology report, you used the recharge model, the  
22 Slice model and you also used Hydrus 2D; is that right?

23 A. Correct.

24 Q. And you used Hydrus 2D because then the future conditions  
25 you have to pile the embankment up on top of the slope

**AR 056652**

1 and you needed Hydrus to model the vertical flow; is that  
2 right?

3 A. With one clarification. Even in the Ecology project we  
4 used Hydrus 2D in a one-dimensional sense so,  
5 fundamentally, there was no difference between the  
6 approaches.

7 Q. And then when you went to work for the port and you began  
8 to do the modelling that is described here, existing  
9 conditions were modeled that didn't use Slice to model  
10 existing conditions; is that right?

11 A. That's correct.

12 Q. But in the future conditions as described here, you used  
13 HSPF, Hydrus and Slice to model future conditions; is  
14 that right?

15 A. Correct.

16 Q. Thank you. Are you familiar with the port's decision to  
17 excavate soils beneath the embankment to increase seismic  
18 stability of the embankment?

19 A. I have read, I believe, a Hart Crowser report on that and  
20 a subsequent HNTB Hart Crowser memo.

21 Q. So you are familiar with that?

22 A. If that's what you mean.

23 Q. Was that included in your modelling of the embankment,  
24 that excavation of soils?

25 A. No.

**AR 056653**

1 Q. Could you take down the story board that you have right  
2 there to look at the -- this is an exhibit submitted with  
3 Dr. Lucia's prefiled testimony that you just testified  
4 about.

5 Now, you say that this exhibit indicates that there  
6 is vertical flow in the embankment, but don't we actually  
7 see lateral flow occurring as water moves -- in the  
8 changes of the colors of the line?

9 A. Minimal.

10 Q. And you mention that you disagree with the assumption  
11 that the embankment will be dry at the time that  
12 construction is completed. Did you make an assumption  
13 about the conditions, the unsaturated conditions of the  
14 embankment in your modelling?

15 A. We were very careful to --

16 Q. Actually, Mr. Ellingson, I need a yes or no answer from  
17 you.

18 A. Would you rephrase the question.

19 Q. Sure. In your modelling of the embankment, you made  
20 assumptions about what the saturated or unsaturated  
21 conditions were of the embankment; is that right?

22 A. All models require initial conditions, so you have to  
23 tell it how to start.

24 Q. And that start was the condition that held from that  
25 point forward, right?

**AR 056654**

1 A. No.

2 MS. OSBORN: Thank you. That's all I have.

3 MS. COTTINGHAM: Mr. Poulin, do you have any  
4 questions?

5 MR. POULIN: No questions from CASE.

6 MS. COTTINGHAM: Any redirect?  
7

8 EXAMINATION

9 BY MR. REAVIS:

10 Q. You said that the flow downward through the till is no  
11 longer managed by PGG. Can you explain for us what you  
12 mean by that?

13 A. The calculated time series -- this arrow right here  
14 represents that downward flow to the till and its daily  
15 flow rates for 11 years, okay, so each day has a rate.  
16 We handed that back to the HSPF modelers, so I stopped  
17 worrying about it at that point is what I meant.

18 Q. With regard to this assumption of initial moisture  
19 conditions, I think you said that did not continue  
20 throughout. Can you elaborate on that for us?

21 A. Well, Dr. Lucia's example of that is that his initial  
22 moisture condition is very dry and, as you can see, over  
23 time, these modeled changes did occur in moisture over  
24 time. We started with a much wetter condition and we  
25 made sure to not base our conclusions on a modelling

**AR 056655**

1 period that were so influenced by the initial conditions.  
2 And that was a big mistake here.

3 Q. Okay. Thank you.

4 MR. YOUNG: Could I ask one question.

5 MS. COTTINGHAM: You may.

6

7 EXAMINATION

8 BY MR. YOUNG:

9 Q. Can you say where this figure 6, the one with the  
10 cross-section, what is that from?

11 A. That is figure 5-1 of our November report with appendix B  
12 to the December low-flow report.

13 MR. YOUNG: Thank you. That's all that I had.

14 MS. COTTINGHAM: December 2000 or December  
15 2001?

16 THE WITNESS: December 2001 low-flow report.

17 MS. COTTINGHAM: Do you have an exhibit number  
18 for that?

19 MR. REAVIS: I got confused earlier. I think  
20 the 2001 low-flow report is 1308 and his separate report  
21 is 1305.

22 MS. COTTINGHAM: No further questions from the  
23 board members? I have one question.

24 ////

25 ////

**AR 056656**

1 EXAMINATION

2 BY MS. COTTINGHAM:

3 Q. I think you just answered it. You used the term lag flow  
4 and delay, implying that they were different, and I  
5 assumed that the difference has to do with the  
6 assumptions that start on the dryness, whatever, the  
7 nature of the fill in your model. Do you mean different  
8 words when you say lag and delay?

9 A. Are you referring to my description of how Hydrus and  
10 HSPF can simulate these things differently or --

11 Q. You said because HSPF was inadequate to deal with lag  
12 flow, it can delay it but not lag.

13 A. Can I draw a picture to describe that.

14 MR. REAVIS: Sure. There's I believe a chart  
15 behind all of that. There should be some markers there.

16 A. Time is across the bottom here and the amount of flow is  
17 across the top. HSPF takes a stored amount of water and  
18 it can calculate a decrease in that flow over time. What  
19 our concept was for the embankment and, in fact,  
20 modelling has verified, is that it's not just a delay,  
21 but the onset of flow is lagged. So the maximum flow  
22 occurs at a time not zero time but some later time.  
23 That's what I meant by lagged.

24 HSPF is limited to this kind of simulation. Hydrus  
25 allowed us to simulate that kind of flow.

**AR 056657**

1 MS. COTTINGHAM: Thank you. Any other  
2 questions?

3 MR. JENSEN: No.

4 MR. LYNCH: No.

5 MS. COTTINGHAM: Any questions as a result of  
6 the board questions?

7 MS. OSBORN: None.

8 MS. COTTINGHAM: Any questions as a result of  
9 the board questions?

10 MR. REAVIS: No.

11 MS. COTTINGHAM: Thank you. You're excused.

12 MR. STOCK: During the transition, I just  
13 wanted to clarify that Exhibit 804 was admitted. I had  
14 forgotten to formally move after Mr. Pearce's objection  
15 had been overruled and I just assumed that it had gone  
16 into the record.

17 MS. COTTINGHAM: It is in the record.

18 MR. REAVIS: The port calls Linn Gould. I'm  
19 sorry, I'm out of order. We're going to Mr. Stubblefield  
20 first.

21  
22 WILLIAM STUBBLEFIELD, Ph.D., having been first duly sworn  
23 on oath or affirmed to tell the truth, the whole truth  
24 and nothing but the truth, testified as follows:

25 ////

**AR 056658**

1 EXAMINATION

2 BY MR. PEARCE:

3 Q. Good morning. Could you state your name and spell your  
4 last name for the record.

5 A. Yes. My name is William Stubblefield,  
6 S-T-U-B-B-L-E-F-I-E-L-D.

7 Q. You have submitted direct testimony in this matter?

8 A. I have.

9 Q. Is your professional resume' attached as tab A to that  
10 testimony?

11 A. It is.

12 MR. PEARCE: And I would note for the board  
13 that it's the stipulated exhibit, it's in 1023.

14 Q. Could you briefly describe your educational experience  
15 for us.

16 A. Yes. I have a bachelor's degree in biology and chemistry  
17 and that I received from Eastern Kentucky University.  
18 I have a master's degree in toxicology and toxicodynamics  
19 that I received from the University of Kentucky, and I  
20 have a Ph.D. in environmental toxicology that I received  
21 from the University of Wyoming.

22 Q. Could you briefly describe your professional work  
23 experience.

24 A. Certainly. I worked for approximately five years between  
25 my master's and my doctorate degree for Exxon

**AR 056659**

1 Corporation. I worked, subsequent to completing my  
2 doctorate degree, for Mobay Chemical Company and then  
3 I've been at ENSR Consulting for 16 years, and also  
4 have an adjunct faculty position at Colorado State  
5 University.

6 Q. Could you explain to us in layman's terms if possible how  
7 ambient water quality standards are developed?

8 A. Sure. Ambient water quality criteria are established on  
9 the basis of a procedure that was developed in 1985 by  
10 the U.S. EPA. Briefly, it involves the development of  
11 laboratory toxicity data, laboratory toxicity tests that  
12 are conducted. The data are arrayed and a criterion is  
13 developed from the statistical procedure from that data  
14 set, so basically it's based on laboratory data.

15 Q. What type of water is used to develop those ambient water  
16 quality criteria?

17 A. The water that is used in those tests is almost always a  
18 very clean, very pristine water that is a laboratory  
19 water. It's very low in organic carbon content, it's  
20 very low in dissolved solids, and the reason for that is  
21 we want to minimize things that can affect the results of  
22 the toxicity tests.

23 Q. Could you contrast that for us to the development of a  
24 water effects ratio?

25 A. Certainly. Water effects ratios is a procedure for

**AR 056660**

1 modification, if you will, of a national criterion, and  
2 it is done by comparing toxicity test results that have  
3 been generated using the laboratory water, the clean  
4 pristine laboratory water to a site water, which would be  
5 water literally taken from the site of concern. And that  
6 water would reflect whatever the constituents are in that  
7 water, including organic carbon, including suspended  
8 solid loads and all of the associated parameters that  
9 exist in that site water.

10 Q. Why are organic carbon and suspended solids important?

11 A. Well, those are two, among others, of the parameters that  
12 can in fact affect toxicity test results. They can  
13 modify the toxicity or the bioavailability, if you will,  
14 of the material to the organisms, and it results in a  
15 difference in the data from what you would get in a  
16 standard laboratory test, the likes of which are used in  
17 deriving the criterion.

18 Q. Are these site-specific studies recommended by EPA?

19 A. Absolutely. Since the beginning of the development or  
20 since EPA first put out the guidelines for deriving  
21 criteria, it was noted in there that there are cases by  
22 which it may be necessary or desirable to develop  
23 site-specific criteria as opposed to relying on the more  
24 general national criteria.

25 Q. In your opinion, are they less protective than the

**AR 056661**

1 published ambient water quality standards?

2 A. They're exactly the same because they are a modification  
3 of the existing criteria.

4 Q. What do you get at the end of the study? You said you  
5 get a ratio; how is that applied?

6 A. As I said, in developing a water effect ratio, what you  
7 do is you run side-by-side tests, tests between a  
8 laboratory water, which is identical to that used in  
9 deriving the criteria originally, and you're comparing  
10 that to a test that's run in site water, which is water  
11 that is literally taken from the site, brought into the  
12 laboratory and tested. The end points of the test are  
13 what, at least in this case, are called acute end points  
14 are LC<sub>50</sub>s. It's the concentration that is lethal to 50  
15 percent of the organisms contained in those tests.

16 You ratio the results of those two tests. In other  
17 words, you look at the results you got from the site  
18 water and you compare that to the results you got from  
19 the laboratory water, and then that ratio is used to  
20 modify the national criterion. So you basically just  
21 multiply it times that value, what the original standard  
22 value was.

23 Q. And how are they applied in a regulatory setting; how are  
24 these ratios applied in a regulatory setting?

25 A. They are used for deriving site-specific criterion.

**AR 056662**

1 Q. Could you give us an example of, say, if the ambient  
2 water quality criteria is 2 and if the water effects  
3 ratio was 3, what would your standard be that you would  
4 have to meet?

5 A. In that particular case, the national standard or the,  
6 excuse me, the national criteria or the state standard  
7 would be 2. If you had a water effect ratio that was  
8 derived from the lab data of 3, then the 2 would actually  
9 just be multiplied together, and so you would modify the  
10 state standard to be 6 in this particular case. So it's  
11 merely an arithmetic movement of the value.

12 Q. Have there been any range finding or WER studies done at  
13 the airport?

14 A. Yes, there have, there was a series of studies that were  
15 run by Parametrix a few years ago, looking at potential  
16 water effect ratios in Walker, Des Moines and Miller  
17 Creeks.

18 Q. Are those the types of studies that you routinely rely on  
19 in your professional work?

20 A. Those are certainly the range-finding studies that we  
21 would do at any site.

22 Q. Could you look at Exhibit 1118.

23 MR. STOCK: We have an objection on hearsay  
24 grounds to Exhibit 1118. This is a Parametrix document  
25 and Mr. Stubblefield is not with Parametrix.

**AR 056663**

1 MS. COTTINGHAM: The burden shifts to you.

2 Q. (Continuing By Mr. Pearce): Is this the type of document  
3 that a reasonable scientist would rely on in studying  
4 water quality?

5 A. Certainly. This is a laboratory data report from the  
6 laboratory that conducted the studies.

7 MR. PEARCE: I believe that meets the board's  
8 hearsay rule.

9 MR. STOCK: Well, actually, simply because an  
10 expert can rely upon incompetent evidence to form  
11 opinions doesn't mean that that evidence gets admitted  
12 for all purposes. The fact that he as an expert can rely  
13 upon hearsay evidence doesn't overcome the admissibility  
14 issue of the hearsay, so the hearsay objection still is  
15 appropriate. Right now it can be used for context and  
16 background, but it cannot be used for the truth of the  
17 matter asserted simply because he, as an expert, relied  
18 upon the hearsay.

19 MR. PEARCE: I don't think that's what he said.  
20 I think the board's rule is whether a reasonably prudent  
21 person would rely on this type of document in the conduct  
22 of their affairs. And I think that's exactly what the  
23 testimony shows. Scientists rely on this, I mean,  
24 they're the only people that really read them.

25 MR. STOCK: It's still hearsay and it is being

**AR 056664**

1 offered for the truth of the matter asserted, so I would  
2 continue to assert the hearsay objection.

3 MR. PEARCE: That's correct, it is certainly  
4 hearsay, and under Evidence Rule 703, our expert witness  
5 can clearly rely on it, whether it's admissible or not,  
6 but it's also, I believe, admissible under the board's  
7 rule of evidence 371-08-500, so evidence including  
8 hearsay evidence is admissible to the board if, in the  
9 judgment of the presiding officer, it's the kind of  
10 evidence in which reasonably prudent persons are  
11 accustomed to rely in the conduct of their affairs.

12 MS. COTTINGHAM: I'm going to allow the  
13 evidence in and the board will give it the weight that it  
14 deems is appropriate.

15 Q. (Continuing By Mr. Pearce): Is this one of the water  
16 effect ratio -- well, could you identify this for us,  
17 please, Dr. Stubblefield?

18 A. This is a report generated, as I said, by Parametrix  
19 entitled "Water Effect Ratio Screening Study at Seattle  
20 Tacoma International Airport, Toxicity Evaluation of Site  
21 Water" dated February of '99.

22 Q. And could I also ask you to look at Exhibit 1120. I  
23 apologize, it's not in the same volume, it's in the next  
24 volume.

25 MR. STOCK: Ms. Cottingham, ACC asserts a

**AR 056665**